

MEETING
STATE OF CALIFORNIA
ENVIRONMENTAL PROTECTION AGENCY
AIR RESOURCES BOARD
SCIENTIFIC REVIEW PANEL
ON TOXIC AIR CONTAMINANTS

CALIFORNIA ENVIRONMENTAL PROTECTION AGENCY
COASTAL HEARING ROOM, 2ND FLOOR
1001 I STREET
SACRAMENTO, CALIFORNIA

TUESDAY, JUNE 12, 2018
9:30 A.M.

JAMES F. PETERS, CSR
CERTIFIED SHORTHAND REPORTER
LICENSE NUMBER 10063

A P P E A R A N C E S

PANEL MEMBERS:

Michael T. Kleinman, Ph.D., Chairperson

Cort Anastasio, Ph.D.

Jesús A. Araujo, M.D., Ph.D.

Paul D. Blanc, M.D.

Alan R. Buckpitt, Ph.D.

Stanton A. Glantz, Ph.D.

Joseph R. Landolph, Jr., Ph.D.

REPRESENTING THE AIR RESOURCES BOARD:

Mr. Jim Behrmann, Panel Liaison

Ms. Karen Magliano, Division Chief, Office of Community
Air Protection

REPRESENTING THE DEPARTMENT OF PESTICIDE REGULATION:

Dr. Shelley DuTeaux, Chief, Human Health Assessment Branch

Dr. Svetlana Koshlukova, Senior Toxicologist, Risk
Assessment Section

Dr. Eric Kwok, Senior Toxicologist, Exposure Assessment

Dr. Marylou Verder-Carlos, Assistant Director

I N D E X

PAGE

Call to Order

1

1. Update on the Implementation of Assembly Bill 617.

3

Passage of Assembly Bill (AB) 617 last year led to creation of the Community Air Protection Program (Program) that requires new community-focused action to reduce air pollution and improve public health in communities that experience disproportionate burdens from exposure to multiple sources of air pollution. The Panel will be briefed by CARB staff on the implementation of AB 617 and the "Community Air Protection Program Draft Blueprint" planned for public release in early June. The Program includes community-focused emission reduction programs, community air monitoring, and enhanced emissions reporting for criteria pollutants and toxic air contaminants, and the Panel is one of many groups being consulted. Following a public comment period including public workshops, the Draft Blueprint will be revised and presented to the CARB Board at its September 2018 meeting.

2. Continuation of the Panel's review of the revised draft report: "Draft Evaluation of Chlorpyrifos as a Toxic Air Contaminant: Addendum to the Risk Characterization of Spray Drift, Dietary, and Aggregate Exposures to Residential Bystanders" (June 2018)

42

Department of Pesticide Regulation (DPR) staff will present for the Panel's review their revised draft report proposing to identify and list chlorpyrifos as a toxic air contaminant pursuant to Food and Agricultural Code sections 14022-14023. Chlorpyrifos is a chlorinated organophosphorus ester used as an insecticide, acaricide, and miticide. The draft report will be available in early June at the following DPR web page under the Risk Assessment Documents tab.

I N D E X C O N T I N U E D

	PAGE
3. Consideration of administrative matters.	123
The Panel may discuss various administrative matters and scheduling of future meetings.	
Adjournment	124
Reporter's Certificate	125

P R O C E E D I N G S

1
2 CHAIRPERSON KLEINMAN: Good morning. I wanted to
3 just get everybody started. I'd like to call the meeting
4 to order. And I want to welcome everybody to this meeting
5 of the Scientific Review Panel on Toxic Air Contaminants.

6 Sorry.

7 Welcome also to the people who are attending here
8 in Sacramento, and to the people who are watching and
9 listening to our webcast.

10 We do not have a person taking notes at this
11 meeting directly, so I hope that everybody will keep their
12 microphones on when they're speaking, turning off their
13 cell phones, et cetera. And the meeting will be webcast
14 and a transcription will be made from both the verbal and
15 visual tapes.

16 Before I ask the Panel members to introduce
17 themselves, I wanted to announce first that I understand
18 that one of our members, Dr. Paul Blanc, has been
19 reappointed to a new term by the Senate Rules Committee.
20 So congratulations, Paul, I think.

21 (Applause.)

22 CHAIRPERSON KLEINMAN: Even more importantly, he
23 accepted.

24 All right. I'd like to go around the table
25 starting with Joe Landolph for brief introductions.

1 PANEL MEMBER LANDOLPH: Good morning. Joe --

2 CHAIRPERSON KLEINMAN: Joe, turn your mic on.

3 PANEL MEMBER LANDOLPH: Joe Landolph, Associate
4 Professor of microbiology, immunology, and pathology and a
5 member of the USC Norris Comprehensive Cancer Center,
6 University of Southern California.

7 PANEL MEMBER BUCKPITT: Good morning. I'm Alan
8 Buckpitt. I'm retired from the University of California
9 at Davis, where I served as a toxicologist.

10 PANEL MEMBER BLANC: Paul Blanc, University of
11 California, San Francisco, Professor of Medicine and Chief
12 of the Division of Occupational and Environmental
13 Medicine.

14 CHAIRPERSON KLEINMAN: I'm Mike Kleinman. I'm
15 the Chair of the SRP. And I am at UC Irvine. And I'm the
16 co-director of the Air Pollution Health Effects
17 Laboratory.

18 PANEL MEMBER ANASTASIO: I'm Cort Anastasio. I'm
19 in the Department of Land, Air, and Water Resources at UC
20 Davis.

21 PANEL MEMBER GLANTZ: Stan Glantz, Professor
22 medicine and director of the Center for Tobacco Control
23 Research and Education at UCSF.

24 PANEL MEMBER ARAUJO: I'm Jesús Araujo, Associate
25 Professor of medicine in the School Medicine at UCLA, and

1 environmental health sciences in the School of Public
2 Health.

3 CHAIRPERSON KLEINMAN: Unfortunately, Dr. Hammond
4 can't be with us today. She has an illness in her family
5 that prevents her from coming up.

6 I also want to mention a couple of administrative
7 matters for the people who are here. There are restrooms
8 and drinking fountains outside the room to the left. And
9 if there's a fire alarm please exit down the stairs and
10 proceed outside the building. And as I mentioned before,
11 if you do have a cell phone, set it to the silent mode,
12 please.

13 So there are two agenda items for today's
14 meeting. And the first item is going to be an update by
15 the California Air Resources Board staff about the
16 implementation of Assembly Bill 617. The -- and then the
17 second agenda item will be a continuation of the Panel's
18 review of the Department of Pesticide Regulation's draft
19 evaluation report on chlorpyrifos.

20 So on the topic of Assembly Bill 617, this will
21 be an update. And the bill was a significant piece of
22 legislation passed last year seeking to remedy air
23 pollution problems in certain areas of the state. The
24 bill has a rather ambitious time frame, and the Panel is
25 one of several groups to be consulted in the creation of

1 the new program.

2 Today, Karen Magliano who, is the Chief of the
3 Office of Community Air Protection, will update us on
4 progress to date, and describe how we can best provide
5 suggestions and comments to the program.

6 Karen, thank you for being here, and please go
7 ahead.

8 (Thereupon an overhead presentation was
9 presented as follows.)

10 OCAP DIVISION CHIEF MAGLIANO: Great. Well,
11 thank you and good morning. I know you have a very full
12 agenda here today, but I really appreciate the opportunity
13 to talk a little bit about what the program involves, and
14 sort of where we are going forward, and how we can
15 continue to work with the Committee itself.

16 --o0o--

17 OCAP DIVISION CHIEF MAGLIANO: Oops.

18 Go to the next slide. There we go. Okay.

19 What I wanted to do is spend a little bit of time
20 though about the overall motivation behind AB 617 itself.
21 It was a companion bill to the extension of our statewide
22 Cap-and-Trade Program, and really a recognition that while
23 we've made tremendous regional progress in reducing air
24 pollution across the state, we still see significant
25 inequities and disparities in certain communities, where

1 because of concentration of different kinds of sources,
2 they experience much higher air pollution levels than
3 others.

4 And we really needed a new focus, and a new set
5 of tools to try and reorient ourselves to how we look not
6 only at statewide and regional programs, but also really
7 going down to the community level.

8 You know, when we look at the progress we've made
9 overall, what we've shown here on the right is a graph
10 that looks at the progress we've made in reducing diesel
11 particulate matter, which obviously is a key toxic air
12 contaminant, and one that is a substantial contributor to
13 risk in communities at the state. But what this does is
14 compare that the progress we've seen in disadvantaged
15 communities compared to other communities in the state.

16 And while they've both seen tremendous progress,
17 you can see that there's a gap there, where the
18 disadvantaged communities are still seeing levels that are
19 close to twice that we see in other communities. And so
20 that's a key focus of this program is how do we take
21 targeted action to now start reducing those disparities.
22 And so we're saying greater progress in all the different
23 communities across the state.

24 The other aspect of it is that, you know, many of
25 our programs have tended to focus at one pollutant at a

1 time. You now we'll have a state implementation plan for
2 dealing with regional ozone standards. We'll have
3 different programs that we're dealing with toxic air
4 contaminants.

5 And what AB 617 is doing is now let's look at
6 them together at a community level, sort of under one
7 umbrella, so we can develop more integrated kind of
8 solutions at the community level.

9 And then the last piece of this, as we all know,
10 is that air monitoring technologies are continuing to
11 advance at a rapid pace. And where in the past when we
12 did our regulatory modeling, they were, you know, resource
13 intensive kinds of monitors, ones that we really couldn't
14 have in a lot of different locations of the state, so we
15 were really looking at more sort of representative
16 sampling. And now, with the advent of, you know, new
17 kinds of monitoring, whether it's low cost sensors, mobile
18 monitoring, satellite monitoring, we can really collect
19 much more granular data at the community level to help us
20 better understand what's going on and then support
21 strategy development.

22 --o0o--

23 OCAP DIVISION CHIEF MAGLIANO: So there are a lot
24 of different pieces of the overall legislation, but
25 they're really designed to work together as an overall

1 program. A couple of them, of course, are very focused on
2 what we're really trying to accomplish here, which is
3 seeing new reductions within these communities to address
4 the air pollution disparities.

5 So there will be new sort of community-specific
6 emission reductions programs that look at the mix of
7 sources within those communities and identifying new
8 strategies to reduce emissions. But there's also broader
9 statewide efforts to see, you know, what kind of things
10 and sources do we need to focus on, of those kinds that
11 tend to be concentrated in these communities. And part of
12 that is accelerated retrofit of controls on different
13 kinds of industrial facilities throughout the state.

14 There's also elements that are associated with
15 gathering better data to understand what's going on in
16 these communities, whether it's air pollution monitoring,
17 but also enhanced data on the emission levels that are
18 coming out from these sources.

19 There's increased penalty provisions in the bill.
20 The penalty provisions had not been updated in the Health
21 and Safety Code for decades, for example. And then the
22 last piece here that I want to point to, which is really a
23 core of the program is that while we're looking at, you
24 know, a smaller geographic focus at the community level,
25 it's a lot more than that. It's really changing how we

1 approach the program and working directly with community
2 members on how we develop solutions.

3 And so part of this is grants to local community
4 groups, so that they can engage in the process, build
5 their technical capacity, and be direct participants in
6 many cases in collecting data, and providing education for
7 community members.

8 --o0o--

9 OCAP DIVISION CHIEF MAGLIANO: So as you heard
10 from Dr. Kleinman, there is a very ambitious schedule that
11 is set aside for the legislation. It was signed just last
12 summer. And the first milestone is coming up in September
13 of this year, which is, in essence, to sort of layout the
14 broad framework and requirements for the program itself,
15 in terms of how do we develop these community emission
16 reduction programs, how do we do well designed air quality
17 monitoring that can really support actions to reduce
18 emissions.

19 And then the other key piece of this is selecting
20 a first set of communities we're going to be looking at
21 this targeted action. And so that's really been the focus
22 of our effort over the last nine months. And I'll walk
23 through a little bit of sort of what those major elements
24 are.

25 What happens after September is that the

1 districts really take front-line responsibilities then for
2 working with local communities in implementing the program
3 itself. So part of that is defining a schedule under which
4 they're going to be looking at adopting new rules and
5 regulations for many of these industrial sources, working
6 on the community air monitoring and the community emission
7 reduction programs over the next year. And then those
8 come back to CARB for review and approval.

9 The other element of this is it's not just a
10 one-time kind of program. There are requirements that we
11 come back annually, look at program progress, but also
12 identify additional communities. So we add to the list of
13 communities that are benefiting from the program over
14 time.

15 --o0o--

16 OCAP DIVISION CHIEF MAGLIANO: Stop doing that.

17 I'm just going to move that out of the way.

18 So as I said, we've been trying to incrementally
19 put out new products to help us work through, you know --
20 and what should the program look like, how do we want to
21 design the program, discuss with all sorts of different
22 stakeholders how we put together a program that really
23 meets the objectives and the overall goals.

24 So we've been working through a number of
25 different planning documents. One is an initial concept

1 paper that we put out in February of this year. And that
2 was part of your memo packet that was sent around to you.
3 And that was really laying out our initial thoughts on,
4 you know, how do we approach these different elements of
5 the program? As well as a process for how do we assess
6 and identify which communities we really should be, you
7 know, potentially focusing on first, recognizing that
8 there are many, many deserving communities throughout the
9 state.

10 And then also looking at implementing some of the
11 funding programs that were associated with this. There
12 was funding that was provided for those community grants,
13 and have just gone through a solicitation and an award
14 process for that, as well as funding that was provided for
15 incentive programs to start getting early reductions in
16 advance of developing these more targeted programs.

17 And then just last week, as shown in the center
18 on this slide, we released a sort of full-blown draft
19 blueprint of the program. And you can't quite read it
20 here, but it has a very long subtitle, which is really --
21 this is laying out, you know, how we're proposing to
22 identify and select communities to be included in the
23 program, how the process and the elements of the community
24 emission reduction programs, how to do sort of guidance on
25 designing air monitoring, and then developing the

1 statewide strategies.

2 And I know we're hoping that since we just have a
3 short time here today, that we might be able to have a
4 more focused call in July to be able to walk through and
5 discuss more of the elements of the blueprint itself.

6 But I will kind of try and give some highlights
7 of the major elements that we have in that.

8 --o0o--

9 OCAP DIVISION CHIEF MAGLIANO: So as I said, one
10 of the very first steps is going through and identifying
11 potential communities. And what we've done is solicited
12 recommendations from local air districts on communities
13 they feel that are, you know, very heavily impacted within
14 their regions, but also solicit nominations from community
15 groups and community members themselves.

16 And so what we're trying to do is pull together a
17 broad list of potential communities that need to be
18 considered, and then walk through a process of determining
19 how we come up with recommendations for a smaller subset
20 in the first year of the program.

21 So not surprisingly, we have received hundreds of
22 nominations so far. And so right now, working with the
23 local air districts, we're going through the process of
24 really assessing what those cumulative exposure burdens
25 are in the communities, and then coming up with a process

1 for how we recommend to our Board, which communities we
2 can really focus in the first year.

3 And as you can see here, we are looking at
4 starting small. We want to be able to make sure that
5 we're successful in this first round of communities, but
6 also want to make sure that we're getting a mix of
7 different regions, different kind of mixes of pollution
8 sources in those communities, because that can serve as
9 models for other communities that have similar challenges,
10 and will also I think help drive broader strategies that
11 can benefit additional communities.

12 And so we will be coming out in August of this
13 year working with the districts and communities on what
14 the recommendations that our Board should be considering.

15 --o0o--

16 (Discussion off the record.)

17 OCAP DIVISION CHIEF MAGLIANO: Yeah. That's a
18 really good question and one we've gotten asked a lot.

19 In many cases, what we're seeing is that it might
20 be a collection of census tracts, for example that tend to
21 have common pollution sources and common air quality
22 challenges, so that by aggregating them together, you can
23 design a program that meets that.

24 You know, that tends to work in some of the more
25 urban parts of the state. When we go to more rural areas,

1 oftentimes, you know, a small city itself might be
2 considered a community as well. So we're kind of trying
3 to leave it a little bit flexible, but, you know, it's
4 not -- it's not a giant city, because what we're really
5 trying to do is target down to those smaller scale
6 disparities.

7 Just quickly to highlight some of the things that
8 we've put out there in terms of how we would assess
9 cumulative exposure. You know falling into three
10 different categories. One, it's obviously what the
11 concentrations are of criteria pollutants and toxic air
12 contaminants, density, and magnitude of emission sources.
13 You know, are we seeing clusters of different kinds of
14 emission sources within communities? But also looking at
15 where it's available if we have air quality modeling or
16 cancer risk estimates as well.

17 The legislation specifically calls out looking at
18 sensitive populations, but also looking at a focus on
19 disadvantaged communities. And so we'll be looking at,
20 you know, many of those socioeconomic factors, as well as
21 public health indicators. Many of these will come from
22 CalEnviroScreen, but we're also looking at more broadly
23 bringing in other kinds of data sources as well. And
24 that's something we've been continued to seek sort of
25 feedback from people and the kinds of things that we

1 should be looking at in assessing cumulative exposure.

2 PANEL MEMBER BLANC: Does the legislation
3 partic -- specifically use the word sensitive?

4 OCAP DIVISION CHIEF MAGLIANO: It does.

5 PANEL MEMBER BLANC: Because that's a word that
6 is potentially problem-ridden as it implies an allergic
7 mechanism of effect, often as it's used in biomedical
8 terminology. And sometimes people take issue with that as
9 a word, so you should be cautious of how it can be
10 misread.

11 OCAP DIVISION CHIEF MAGLIANO: That's a good
12 point.

13 PANEL MEMBER BLANC: And so sometimes people use
14 the word "susceptible", and then they argue about what's a
15 better word, but it's kind of a mine field, just so you
16 know.

17 OCAP DIVISION CHIEF MAGLIANO: Okay. That is
18 good to know, because I think the intent was really
19 getting at, you know, people who are more susceptible,
20 children, the elderly, things of that nature.

21 PANEL MEMBER BLANC: Right, right. That's not
22 really an -- that's not an issue of sensitivity, in that
23 sense. I mean in the standard -- in common biomedical
24 usage.

25 OCAP DIVISION CHIEF MAGLIANO: Okay.

1 PANEL MEMBER BLANC: Stan, you look like you want
2 to say anything.

3 PANEL MEMBER GLANTZ: I think what they meant is
4 pretty clear, but it's the way it's written in the law, so
5 you're kind of stuck with it.

6 OCAP DIVISION CHIEF MAGLIANO: Right.

7 PANEL MEMBER BLANC: But just be aware of it.

8 OCAP DIVISION CHIEF MAGLIANO: Okay. That is
9 good to know. Thank you.

10 --o0o--

11 OCAP DIVISION CHIEF MAGLIANO: So then once we
12 have selected communities, these communities will be
13 selected for either development of community emission
14 reduction programs and/or air monitoring. And we expect
15 that in the vast majority of cases, there will probably be
16 some element of both, so when we look at these sort of up
17 to ten communities, probably most of them will have
18 community emission reduction programs, and then some
19 companion air monitoring to help support that, whether
20 it's helping to further identify sources or track progress
21 over time for example.

22 But what we've laid out here is really what we've
23 proposed as the major elements that need to be looked at
24 and included in these community emission reduction
25 programs. And a number of these are really laid out in

1 the statute itself in terms of having emission reduction
2 targets, an implementation schedule, specific strategies,
3 and an enforcement plan.

4 But we also wanted to make sure that there really
5 was this strong community involvement in developing these,
6 because oftentimes in our prior planning efforts, we've
7 tended to develop a plan for a region. We have an ozone
8 SIP for the San Joaquin Valley, or a PM2.5 SIP for
9 Imperial County. You know and that's sort of
10 bureaucratic, and that's what we're good at doing.

11 But what we're really looking at here is
12 developing plans with the community members themselves and
13 learning from each other in the process, because we all
14 have things that we understand about communities. And so
15 it's trying to bring people together as part of that
16 process. And so we're proposing that there are community
17 steering committees that work with the air districts on
18 developing these plans.

19 And we're also looking at making sure that these
20 aren't just paper plans, but we're actually delivering
21 real reductions, and they get implemented. So it's also
22 including metrics for tracking progress and trying to
23 define some really visible concrete things that people can
24 look at. So, you know, defining goals for deployment of
25 certain kinds -- a number of certain kinds of technologies

1 in the community, or replacement of a certain number of
2 wood stoves, or the other piece of this, which is I think
3 a little bit different is when we go into these
4 communities, we often know that past land-use issues have
5 been a significant contributor to why we're seeing these
6 pollution disparities.

7 And while the direct authority for addressing a
8 lot of that doesn't result in CARB or the local air
9 districts, it's oftentimes zoning that's done by local
10 governments. What we're trying to do here is, one,
11 identify though what we would like to see happen, you
12 know, whether it is setbacks, or buffers, or trying to
13 find alternate truck routes, for example, to mitigate some
14 of that, you know, proximity kinds of issues. And then
15 identifying strategies on how we can collectively work
16 with these other agencies to try and affect that change.

17 It's also trying to bring these agencies into
18 these community steering committees, so that we're having
19 more direct conversations about what needs to be done.

20 CHAIRPERSON KLEINMAN: Karen?

21 OCAP DIVISION CHIEF MAGLIANO: Yes.

22 CHAIRPERSON KLEINMAN: On this slide, you've got
23 clear emissions reduction target type things that are
24 relevant. But I think the exposure reduction part of it,
25 which people have control of by themselves --

1 OCAP DIVISION CHIEF MAGLIANO: Um-hmm.

2 CHAIRPERSON KLEINMAN: -- might be called out
3 either separately or highlighted, because I think they --
4 you know, you want them to feel that they have a
5 responsibility for protecting themselves as well, not just
6 waiting for the government to do it for them.

7 OCAP DIVISION CHIEF MAGLIANO: Right. And that,
8 I think, will feed into when we get to the monitoring one
9 and having data that helps them inform their daily
10 activities and things of that nature too.

11 The other thing I just wanted to point out on
12 this one is where we're looking at in terms of sort of
13 what kind of air quality objectives are we sort of trying
14 to design these programs around.

15 So we have our existing regional programs that
16 are, as I said, you know, trying to drive down
17 concentrations throughout a region. You know, ozone tends
18 to be more regional for example. And so what we're
19 suggesting here is that you're really trying to go after,
20 you know, what's causing more of those local disparities,
21 and so where it's applicable, looking at PM2.5, for
22 example, and then obviously, toxic air contaminants in
23 many of these communities. And then that helps sort of
24 drive the emission reduction targets and the technology
25 deployment goals.

1 PANEL MEMBER ANASTASIO: I have a question for
2 you, Karen. So is this trying to help communities attain
3 current standards or are you going beyond that in some
4 cases and --

5 OCAP DIVISION CHIEF MAGLIANO: You know,
6 obviously, the current regional plans are designed to make
7 sure that an entire region does attain the standards. You
8 know, part of this is making sure as we're working towards
9 attaining the standards, we're taking some near-term
10 actions within those communities, so they're seeing some
11 more direct benefits, rather than indirect benefits in
12 their communities.

13 But I think there also can be cases where you may
14 have a region that already attains the standards, but we
15 all know that going below the levels of the standards can
16 continue to see further health benefits. And so this is
17 an opportunity to perhaps focus some additional efforts
18 there as well.

19 PANEL MEMBER ANASTASIO: I was just wondering are
20 you then expecting pushback from emitters when you try to
21 go below the current standard? I mean, what's the
22 authority to be able to do that?

23 OCAP DIVISION CHIEF MAGLIANO: Well, I think part
24 of it is when we look at many of these strategies, they're
25 going to have multi-pollutant benefits. And especially

1 when we're looking at toxics, as you all know there are
2 not safe levels, so that sort of provides an impetus to
3 continue to drive further and further reductions.

4 But they will also then in turn potentially
5 provide benefits for meeting the criteria pollutant
6 standards as well.

7 PANEL MEMBER ANASTASIO: Thank you.

8 PANEL MEMBER ARAUJO: And how are you planning to
9 assess the benefits of the program that you're measuring
10 on health outcomes or...

11 OCAP DIVISION CHIEF MAGLIANO: That I -- thank
12 you. That's a note I had and I forget to bring it up. So
13 we've had quite a bit discussion about -- what about
14 moving to the next step, which is quantifying health
15 benefits. As Dr. Kleinman noted in our consultation group
16 meeting we've probably spent one and a after meetings just
17 focused on that topic itself.

18 What we're looking at here is that the primary
19 focus of the emission reduction programs and tracking
20 success is on the emission reductions themselves. But we
21 know that that's eventually going to lead to improvements
22 in public health. And so what we're trying to use the
23 program sort of as a catalyst to start collecting better
24 data, so we can make those connections themselves,
25 providing the data to health researchers. But also, as we

1 look at engaging with especially other local agencies and
2 they're making decisions about land use and things like
3 that, if we can bring a discussion about the public health
4 impacts of some of these decisions more to the forefront
5 that hopefully that can be helpful in the progress --
6 process as well.

7 So at this point in time, we're not looking at
8 setting specific quantitative public health improvement
9 goals, but trying to kind of continue to move forward on
10 collecting better data, so that, you know, maybe over the
11 longer term we might be able to do that.

12 PANEL MEMBER ARAUJO: Will you be collecting the
13 data -- I mean, the health data or will you be instigating
14 or promoting, you know, installments of RFAs or -- from
15 funding agencies and having research programs or will the
16 State then actually do some of this -- the work?

17 And also, I noticed that in one of the slides
18 that you mentioned something about cancer. It didn't
19 mention anything about a lot of the other effects on there
20 that these air pollution causes. And a large portion of
21 the mortality is actually attributed to cardiovascular --
22 study of cardiovascular diseases instead of cancer.

23 OCAP DIVISION CHIEF MAGLIANO: Um-hmm.

24 PANEL MEMBER ARAUJO: Cancer is a smaller
25 portion. So how are you considering all these?

1 OCAP DIVISION CHIEF MAGLIANO: So on your first
2 point, what we're looking at is, you know, hopefully we
3 can work with public health agencies to help collect the
4 additional data. It's sort of beyond what the
5 jurisdiction of the air pollution control districts are.
6 And we really want them to focus on the core mission of
7 emission reductions. But at the same time, if this can
8 provide an opportunity to say there's a huge need out
9 there, and an opportunity, because we're collecting all of
10 this emissions and air quality data, to, in parallel, be
11 able to collect more public health data as well.

12 And then on the non-cancer part of it, yes, when
13 we're looking at some of these public health indicators,
14 it is certainly going beyond just the cancer risk. So we
15 are looking at characterizing cardiovascular incidences of
16 asthma, low birth weight, for example, because they all
17 contribute to sort of what that health burden in the
18 community is.

19 PANEL MEMBER GLANTZ: Yeah. I'd just like to
20 second that, because the other thing is those risks change
21 a lot faster than cancer risks.

22 OCAP DIVISION CHIEF MAGLIANO: Um-hmm.

23 PANEL MEMBER GLANTZ: And so I think your
24 chances -- excuse me. Your chances of actually seeing an
25 effect in a relatively short period of time are a lot

1 higher than being able to detect cancer risks. That's not
2 to say that the cancer isn't important. But, you know,
3 for example, if you reduce exposure to fine particle air
4 pollution, you get fewer heart attacks, you know, the same
5 day. And, you know, the risks associated with low birth
6 weight and complications of pregnancy also change quite
7 quickly.

8 I mean, there's a very robust literature dealing
9 with secondhand smoke that show all of these things, when
10 you create a smoke-free workplace, change within a month
11 by maybe 20, 25 percent. So the effects are fast and big.
12 And the things which are causing those changes related to
13 secondhand smoke are almost certainly a lot of the same
14 thing you're measuring here, like ultrafine particle
15 exposures, oxidant loads, you know, things like that.

16 So I -- you know, again, I wouldn't ignore
17 cancer, but I think in terms -- if you've got to
18 prioritize what you're going to collect data on, or work
19 with the Department of health or something to collect data
20 on, I would look at the things that Jesús mentioned,
21 because those -- and those also, in many ways, operate
22 through similar biological pathways too. So looking at
23 them all together might -- you know, that will also maybe
24 increase the sensitivity for measuring effects.

25 OCAP DIVISION CHIEF MAGLIANO: No, that's good.

1 And actually, at our last consultation group meeting, Dr.
2 Paul English from the California Department of Public
3 Health actually was sort of walking through those various
4 things in terms of time scales underwhich you would
5 actually be able to see some measurable differences and
6 very much a focus on things like asthma cases, and things
7 like that rather than, you know, cancer, which is going to
8 manifest itself over quite long time frames.

9 --o0o--

10 OCAP DIVISION CHIEF MAGLIANO: Okay. So then the
11 next piece of this is community air monitoring programs
12 that will be occurring in many of the communities. Our
13 work starts with a couple of things, which is sort of the
14 basics of just looking at what are the capabilities of
15 current monitoring technologies, you know, understanding
16 what can they tell us, you know, what can't they tell us
17 to start providing some guidance of, you know, if you're
18 trying to understand a certain kind of problem, how do
19 match the right technology with what you're trying to
20 understand?

21 And also looking at existing community air
22 monitoring networks. This is an area where community
23 groups themselves have actually done a lot of work in the
24 last few years in designing and deploying community air
25 monitoring work. And so we're really trying to build off

1 of sort of lessons learned as part of that process.

2 And then the third element is providing criteria
3 for if you're going to go out and do this, how do you do
4 it in a well designed way? So, you know, defining what it
5 is you're trying to understand and your objective, and
6 then how do you put together a monitoring program that can
7 really support that?

8 And part of that, too, is that we know that there
9 are many communities now where we already have a good
10 understanding of what's going on. And these are the
11 communities where we can jump to action. And so the
12 monitoring itself is -- at least in part of 617, is not
13 designed to be just more monitoring for monitoring sake,
14 but really trying to tie it to how is it eventually going
15 to be able to support action in the community? But those
16 actions can be a lot -- a number of different things. So
17 as we talked about, you know it could be from supporting
18 daily notification systems, so that, you know, people can
19 better understand what's going on in the community, and
20 make decisions about their daily activities or support
21 school flag programs.

22 It could be targeted measurements to better
23 understand what's really coming out of different sources,
24 and do we have a good understanding of them not. And it
25 can also be, you know, how do we track progress over time

1 in these communities? Are we really seeing that what
2 we're doing is having an effect?

3 We've also had a large number of discussions with
4 various groups that as we collect this much more granular
5 data at the community level, it's another opportunity to
6 have those connections back with health researchers,
7 because, you know, there's going to be a wealth of
8 information that's probably contained and can be mined
9 within this data to help us better understand community
10 level health impacts.

11 And then the last piece, of course, which is
12 always critically important is, okay, now we have this
13 massive amount of data, how do we interpret it, and how do
14 we talk with various groups about that? We'll be putting
15 together a statewide data portal. But behind that, you
16 know, it's sort of working together on that, you know,
17 making it meaningful and accessible.

18 --o0o--

19 OCAP DIVISION CHIEF MAGLIANO: There are also a
20 number of other implementation elements that are
21 associated with the program. One of it is putting
22 together a technology clearinghouse that sort of outlines
23 what are the best available technologies out there. The
24 minimum requirements are to really look at stationary
25 sources, but we want too broaden it to also look at mobile

1 source technologies as well.

2 There are requirements to really improve the way
3 that we collect emissions data. We've been doing it on
4 more of a regional basis. And now we're trying to get
5 much more, not only granular air monitoring data, but more
6 granular emissions data as well. And I'll talk about that
7 a little bit more on the next slide.

8 And then we're also putting together an online
9 resource center that will house a lot of this information,
10 especially things that we know will continue to change and
11 add to over time. So best practices on different land-use
12 and transportation strategies, you know, a lot of this
13 information to support community air monitoring and new
14 technologies that are becoming available. And then just
15 sort of education and outreach kinds of components as
16 well.

17 --o0o--

18 OCAP DIVISION CHIEF MAGLIANO: So a little bit
19 more on the emissions reporting. And we've actually just
20 finished a series of workshops outlining sort of what our
21 initial thoughts and approaches on this are. But as a
22 little bit of background, in many cases, emissions data to
23 date has often only been reported once every three years
24 or once every four years. And that was sufficient when we
25 were sort of tracking over the long term over sort of a

1 regional perspective.

2 But now that we're truly trying to better
3 understanding what's going on in specific communities, you
4 know, when someone wants to understand what's coming out
5 of this source that's right next to me, what this is
6 designed to do is move to an annual reporting system, so
7 that we can track from year to year to year what's going
8 on with key sources.

9 The other aspect of it is that there have tended
10 to be different methodologies used in different regions
11 across the state, which then sometimes makes it very
12 difficult to compare, you know, emissions you're seeing
13 from a refinery in the Bay Area to emissions you're seeing
14 from a refinery in South Coast.

15 This is one that's going to take us some time to
16 do, but we are looking at, you know, are there some more
17 uniform ways of collecting data itself? And then also,
18 are there additional types of data that would help us
19 better understand when we see a change in emissions, why
20 is it happening? Was it because the throughput at the
21 facility increased, or decreased, or was it because
22 pollution controls were put on.

23 And then there's also options for data
24 certification or verification. You know, we're certainly
25 not looking at this program being equivalent to our

1 cap-and-trade mandatory reporting system where that
2 verification is very critical, because there are monetary
3 compliance obligations associated with it. But this might
4 be looking at if there's additional, you know, QA/QC that
5 could be helpful in that process.

6 So I think this is one that -- would really help
7 us get a better understanding of some of what's going on,
8 because we know that there are, as we've been putting more
9 and more data out there in emissions and our pollution
10 mapping tool, there are certainly a lot of data gaps that
11 are out there.

12 --o0o--

13 OCAP DIVISION CHIEF MAGLIANO: The last couple
14 pieces that I just wanted to touch on are funding that was
15 appropriated by the Legislature in this first year to sort
16 get the program off the ground. So the first was 250
17 million for incentive programs. This was specifically
18 focused on replacing and, you know, accelerating the
19 deployment of cleaner mobile source technologies, so
20 trucks and buses, things of that nature.

21 The map on the right shows that the bulk of the
22 funding went to the South Coast, the San Joaquin Valley,
23 and the Bay Area, but there's also funding that's provided
24 throughout the state. And then the upcoming budget does
25 have additional funding to continue the program over this

1 next year. And one of the things that we're looking at is
2 that broadening it beyond just mobile sources, that
3 especially as we get into some of these communities, there
4 may be small business owners, stationary sources, where
5 this funding could be really helpful to achieve further
6 emission reductions.

7 And then the other part of this is again, you
8 know, focusing these investments in the disadvantaged
9 communities that really need those localized benefits the
10 most.

11 --o0o--

12 OCAP DIVISION CHIEF MAGLIANO: And then the other
13 aspect was funding that was provided for the Community Air
14 Grant Program, which was really this, you know, how do we
15 engage more directly with community members and community
16 groups, and build their capacity for the program. And so
17 there was \$5 million that was allocated in the current
18 budget. We released a solicitation for this in February,
19 and recently announced awardees for the program, including
20 an additional five million that's contingent on that being
21 included in the upcoming budget.

22 And you cannot read this obviously from here, but
23 there were, I think, 28 different groups that we've
24 proposed awards to go through. They're across the state.
25 And a large number of different kinds of projects this is

1 focusing on from community led air monitoring efforts to
2 community education. I really like to see that there are
3 a lot of youth elements to it of going into schools and
4 starting to sort of build our next generation of community
5 scientists as well. So this is one that we hope to
6 continue to expand over time as we go through the program.

7 --o0o--

8 OCAP DIVISION CHIEF MAGLIANO: So there's --
9 we've made a lot of progress, but there is still a lot to
10 do even between now and September. As I mentioned, we
11 released the draft blueprint for the program just last
12 week, and we're hoping for an opportunity, and I know Jim
13 has been polling all of you, to perhaps have another
14 focused call on that in July, because we know your agenda
15 today is so full.

16 We'll be doing an update to our Board at the end
17 of this month. We've been kind of doing that, you know,
18 every three months or so to keep them apprised, but it's
19 another opportunity for public discussion. We'll also be
20 doing some workshops. We've been going out actually and
21 doing tours within the communities and being able to talk
22 directly with community members. And we also have sort of
23 multi-stakeholder consultation group that Dr. Kleinman
24 serves on as well, that continues to provide another forum
25 for bringing together a lot different perspectives and

1 feedback on the program.

2 We're then looking at, you know, based on that
3 continued discussion, releasing an update to the blueprint
4 in August, and then also our recommendations for sort of
5 what that first year of communities would actually be.
6 And then it will be considered by our Board in September.

7 --o0o--

8 OCAP DIVISION CHIEF MAGLIANO: And I know that
9 there are many different, you know, aspects of this that
10 are of particular interest and expertise of this group.
11 These were just a few questions that Jim and I and Dr.
12 Kleinman had thought about, but we're certainly -- you
13 know, very much want to have a broad discussion about
14 this. But something to perhaps tee up and think about,
15 especially as we go into potentially another discussion in
16 July, and that is we've talked a little bit, you know, the
17 factors that we should be looking at as we assess
18 cumulative exposure.

19 This is one where, you know, we're sort of taking
20 a first cut at this year. But as we go forward in time,
21 you know, how we continue to expand on how we look at
22 that, and really look at the true cumulative impacts of
23 all these different pollutants.

24 How this enhanced emissions data and enhanced air
25 monitoring data really can be used to help support better

1 health assessments. And then, you know, as I mentioned,
2 as we have all this data, how do we interpret and
3 communicate health risks to community members. So I think
4 that's the end of my slides. I am certainly willing to
5 entertain additional questions you all might have.

6 CHAIRPERSON KLEINMAN: Thank you, Karen.

7 I know we've kind of interrupted you during your
8 thing, so --

9 OCAP DIVISION CHIEF MAGLIANO: Right, which is
10 great.

11 CHAIRPERSON KLEINMAN: -- many of our questions
12 were sort of covered. Does the Panel have anything?

13 Yes.

14 PANEL MEMBER LANDOLPH: I'm fully supportive of
15 everything you said and what the legislature did. I think
16 it's great. I have a question, and I don't mean to put
17 you the spot, but I work in Los Angeles at USC. And, you
18 know, that Exide plant, of course, has made the new for
19 decades, and there have been extensions for decades of the
20 permitting. Has anything been done to try and stop abuse
21 of this permitting extension process? I mean, you know,
22 the air was polluted, the soil is polluted, it's a lower
23 socioeconomic community, so it certainly falls under your
24 guidelines. And I know they're making progress on it now.

25 But, you know, it just strikes me in all this

1 when you have a hot spot sticking up like that, which is
2 just disastrous, and the community needs help, has
3 anything been changed to cut through that and be able to
4 attack such a problem faster?

5 OCAP DIVISION CHIEF MAGLIANO: I think that
6 there's a -- you know, I can't speak too directly to that
7 one, but I think there are a couple of things. One, when
8 we're looking at a situation like Exide obviously,
9 oftentimes there are multiple agencies that are involved
10 with it. And I think one of the things that the Exide
11 situation has done, and we're hoping to continue through
12 AB 617, is a better process for coordinating and linking
13 these various agencies together to be able to address the
14 problem.

15 I know, for example, that the South Coast Air
16 Quality Management District, you know, partly in response
17 to this, partly in response to situations related to
18 chrome plating, for example, is doing a lot more in terms
19 of when they're issuing notices of violations to
20 facilities, they're making sure that other county agencies
21 are aware of what's happening there. So you're creating,
22 I think, a better feedback mechanism for being able to
23 more quickly address some of these situations as well.

24 PANEL MEMBER LANDOLPH: Thank you.

25 CHAIRPERSON KLEINMAN: Well, now the Panel is

1 being polled for a date to have a conference call to
2 further discuss the blueprint, once you've had a chance to
3 read it. So I think at this point, we will thank Karen
4 for the presentation, and I think we'll be prepared to,
5 you know, discuss it, you know, after we've, you know,
6 really had a chance to explore the blueprint and perhaps
7 come up with some useful suggestions.

8 OCAP DIVISION CHIEF MAGLIANO: Great. Looking
9 forward to it. Thank you again.

10 CHAIRPERSON KLEINMAN: Jesús, did you...

11 PANEL MEMBER ARAUJO: I'm just trying to -- I had
12 a couple of questions. One, is, you know, what is the
13 scope and how big are you really planning to go after --
14 when you're talking about communities, how big are those
15 communities, and are you talking about whole districts,
16 and are you talking about communities within districts,
17 and is there a specific aim about the population that
18 you're going to reach or what was asked before any
19 intentions of, you know, you want to drop like, let's say,
20 levels of air pollution in certain places, any targets, or
21 is this more like a general program of just trying to
22 foster or promote environmental health and without
23 specific targets, and whatever comes from it will be
24 measured and will be...

25 OCAP DIVISION CHIEF MAGLIANO: Yeah, good

1 questions. So maybe I can give you a couple of examples
2 of communities that we know air districts are considering
3 and gives you kind of a sense of scale for example.

4 So, for example, in the Bay Area, they are
5 looking at one of their first communities would be West
6 Oakland. So, you know, not the entire city of Oakland,
7 but really trying to focus on that area that has some
8 unique air pollution challenges. There are also, you
9 know, areas in the San Joaquin Valley where some of the
10 community advocates are very interested in, you know, a
11 small cluster of communities that might represent in total
12 5,000 residents or so. So it really is trying to target
13 smaller areas where there are some very focused problems
14 that we can try and get at, where you're tending to see
15 some clusters of individual sources that are contributing
16 to those sort of disparities that we are seeing overall.

17 And so it's intended really to -- it doesn't
18 replace what we're already doing as part of our regional
19 programs, but it sort of layers on top of that, so that
20 we're starting to see, you know, how can we start closing
21 that gap that we're seeing in that initial. We're not
22 setting -- as I said, you know, we're looking at for
23 PM2.5, you know, wanting to make sure that you are
24 achieving helpful levels of PM2.5 in those communities.

25 With toxics, we're not setting a specific percent

1 reduction goal, per se, but really looking at, you know,
2 over a short timeframe, we've been saying here right now,
3 five years, what can you do to maximize reductions that
4 you can see and a focus directly within the community
5 itself, because I think that was part of the impetus for
6 the legislation itself is that when you've had these broad
7 regional programs, sometimes it didn't -- you weren't
8 really looking at necessarily where the reductions were
9 occurring.

10 And so what the program is now trying to do is,
11 you know, within these communities making sure that we're
12 actually targeting action so that it happens within those
13 communities themselves. And they're seeing more direct
14 rather than sort of trickle-down benefits to reducing
15 pollution.

16 PANEL MEMBER ARAUJO: Yeah. So what I'm thinking
17 is that this is a wonderful opportunity, not just for --
18 also to get to know more about the -- about the problem,
19 not only to monitor or to the metrics of the exposures.
20 And some of the best studies have come as -- in terms of
21 cardiovascular endpoints. And it came from longitudinal
22 studies --

23 OCAP DIVISION CHIEF MAGLIANO: Um-hmm.

24 PANEL MEMBER ARAUJO: -- that were looking at
25 variations of cardiovascular rates and sort -- and across

1 different cities exposed to different levels of pollution.

2 So here you have an opportunity of targeting
3 small communities versus other communities that would be a
4 neighbor or in close proximity to those communities, and
5 you can see, you know, these are -- these communities are
6 probably exposed to similar levels of pollution or
7 affected by similar factors.

8 OCAP DIVISION CHIEF MAGLIANO: Um-hmm.

9 PANEL MEMBER ARAUJO: But some will be in the
10 program for -- they will be like an active and target, or
11 active promoting of this environmental health, and others
12 will not. So there will have the opportunity to actually
13 see and you really see reductions --

14 OCAP DIVISION CHIEF MAGLIANO: Um-hmm.

15 PANEL MEMBER ARAUJO: -- in the risk. And maybe
16 the big question, you know, whether it is really any
17 additional benefits of going beyond the current
18 regulation. So that would be a really important endpoint,
19 because some of these studies have shown that there is no
20 threshold that they -- that the effects are linear --

21 OCAP DIVISION CHIEF MAGLIANO: Right.

22 PANEL MEMBER ARAUJO: -- and that it doesn't
23 really matter. It's just that the more that you get
24 exposed, the more effects that you will have. The less
25 that you are exposed, the more benefits that you will --

1 and this could actually test it, you know.

2 OCAP DIVISION CHIEF MAGLIANO: Um-hmm.

3 PANEL MEMBER ARAUJO: But your starting pretty
4 soon --

5 OCAP DIVISION CHIEF MAGLIANO: Yes.

6 PANEL MEMBER ARAUJO: -- and if you don't really
7 have like details about any of these things. So there is
8 a risk that you're getting to a program of this magnitude,
9 and five years from now you realize oh, wow, we should
10 have done this, we should have done that. Now, we
11 don't -- and money is -- the money has been pent.

12 And if you haven't really, you know, acquired of
13 all the different things that you need to program even
14 ahead of, and then you may have lost the opportunity. So
15 I would really encourage, in trying to move really fast,
16 you know, in planning well, how is it you're really going
17 to acquire all these data, how is that -- you know,
18 whether it is like, you know, partner with -- if it is a
19 State-based or you could even partner with federal
20 agencies.

21 OCAP DIVISION CHIEF MAGLIANO: Um-hmm.

22 PANEL MEMBER ARAUJO: You know, how about have
23 you gone to the NIH or the federal EPA and see whether
24 they would be interested in doing studies or large-scale
25 studies where they can look at these experiments, because

1 in a way it's an experiment, you know.

2 OCAP DIVISION CHIEF MAGLIANO: Um-hmm. No,
3 that's good point.

4 PANEL MEMBER ARAUJO: And you're starting
5 September 18th, right?

6 OCAP DIVISION CHIEF MAGLIANO: Yes, there is. It
7 is. It's a very ambitious schedule. You know, part of
8 that is why we don't want to start too large, because we
9 want to make sure -- we're going to learn a lot in the
10 initial part of the program, and so --

11 PANEL MEMBER ARAUJO: Right.

12 OCAP DIVISION CHIEF MAGLIANO: -- starting
13 smaller. But there also -- you know, we know we will
14 continue to improve the program over time. There's
15 constant reports back to our Board, you know, to be able
16 to make mid-course corrections. And I think part of that
17 I think is a good point on, you know, as we learn things
18 how do we beat that back and making sure that it is an
19 opportunity to take advantage of a broader data collection
20 effort.

21 PANEL MEMBER BLANC: Can I ask also in terms of
22 the interface with other programs of the -- under the
23 aegis of the Air Resources Board, in your initial
24 identification of prototype communities to pilot work,
25 will you also be including in that communities in which

1 the salient air pollution issues include agricultural
2 sources and not be inhibited by the ways in which to a
3 certain extent OEHHA and DPR's efforts are siloed from
4 each other?

5 OCAP DIVISION CHIEF MAGLIANO: So one of the
6 things we are looking at as we select this sort of initial
7 mix of communities is make sure that it is a pretty broad
8 range. So, you know, obviously, you know, there are
9 communities that are impacted by freight, for example,
10 communities that are impacted by maybe more urban mixes.
11 But we've also definitely wanted to include in there
12 communities that are more impacted by rural sources,
13 agricultural sources.

14 You know, especially in the San Joaquin Valley
15 there's a lot of interest in pesticide impacts. And so,
16 you know, that may be something that as we think about the
17 types of communities, that's certainly one of the
18 recommendations that's coming from the valley advocates is
19 they would like to include communities that are impacted
20 by those agricultural sources, as well as oil and gas
21 operations as well. So we are trying to capture a pretty
22 broad net of these initial communities, because it can
23 help drive a lot of -- a broad range of scope of actions,
24 but as well as then also prompting that need for
25 coordination with many other agencies within CalEPA as

1 well.

2 CHAIRPERSON KLEINMAN: Are there any other
3 questions for Karen at this time?

4 If not, we'll look forward to being on the
5 conference call sometime this -- in July.

6 And with that, we'll move to our second agenda
7 item, which is the evaluation of chlorpyrifos as a toxic
8 air contaminant. This is the third time the Panel has met
9 in person to discuss the draft evaluation that was
10 submitted by Department of Pesticide Regulation, or DPR.

11 And at our last meeting, there was a -- the
12 Committee requested that DPR consider the developmental
13 neurotoxicity endpoint as a criteria for establishment.
14 So the DPR has sent to the Panel on June 1st an addendum
15 report. And that report contains revisions based on the
16 discussions with this panel, at the previous two meetings.
17 The new addendum represents a significant amount of new
18 work. And it's been in a state of continuing improvement,
19 and so we're looking forward to hearing the staff
20 presentation on the latest changes and the status of the
21 addendum.

22 I want to state for the record that the Panel has
23 also received written comments from Dow AgroSciences, a
24 joint letter on behalf of California's Citrus Mutual,
25 California Cotton Ginners and Growers Association, and the

1 Western Agricultural Processors Association, and written
2 comments from Californians for Pesticide Reform.

3 And with that introduction, I'll turn the
4 microphone over to Dr. Shelley DuTeaux who's the Chief of
5 DPR's Human Health Assessment Branch to introduce the
6 presentation.

7 (Thereupon an overhead presentation was
8 presented as follows.)

9 CHAIRPERSON KLEINMAN: And again, while they're
10 setting up, just want to remind everyone talk into your
11 microphones, so that we can get a good transcription of
12 this. Thank you.

13 DR. DuTEAUX: Good morning, everyone.

14 Okay. So as Dr. Kleinman, Chair of the TAC SRP
15 said earlier, we are in the hopefully final stages. We're
16 nearing the final stages of evaluating chlorpyrifos as a
17 pesticide toxic air contaminant. The document that you
18 received last -- week and a half ago is an addendum to the
19 December 2017 draft TAC evaluation -- toxic air
20 contaminant evaluation. So when I use the word TAC,
21 that's what it stands for.

22 This morning -- sorry.

23 --o0o--

24 DR. DuTEAUX: This morning with me today -- and
25 again I'm Dr. Shelley DuTeaux. I'm the Branch Chief of

1 the Human Health Assessment for the Department of
2 Pesticide Regulation. And joining me is Dr. Svetlana
3 Koshlukova, the senior toxicologist for the Risk
4 Assessment section at DPR; Dr. Eric Kwok who's a senior
5 toxicologist for the Exposure Assessment Section, again
6 with DPR; and Dr. Marylou Verder Carlos, our Assistant
7 Director and Chief Science Advisor for the Department.

8 --o0o--

9 DR. DuTEAUX: So for today's presentation, we
10 have kind of five chunks that we'd like to go through.
11 The first is a brief overview of the additional data and
12 analyses that were added and are reflected in this
13 addendum, per request either from scientific partners or
14 from this Panel.

15 Next, we're going to be going over the process
16 for deriving the chlorpyrifos point of departure for
17 developmental neurotoxicity from in vivo animal data.
18 Next, we're going to help lead a discussion of proposed
19 changes for the final document. Then we'll have a review
20 of toxic air contaminant authority as it's noted in the
21 Food and Agricultural Code for pesticide TACs. And then
22 we'll have a brief discussion on the sufficiency or
23 insufficiency of the document to meet the needs as per
24 regulation.

25 --o0o--

1 DR. DuTEAUX: So starting off with the additional
2 data that we have been asked to include in this addendum.
3 And just briefly, the reason why we decided to proceed
4 with an addendum as opposed to a revised TAC evaluation
5 document is that you will note that the document itself is
6 over 100 pages long with close to 200 pages in appendices.
7 If we would have added that in track changes or otherwise
8 to the existing December draft, your overall document
9 would have exceeded 650 pages.

10 So we thought it best to pull out all of the new
11 data and have it as a separate document. So this is what
12 is in front of you as the addendum.

13 The newly added content that I'll be going over
14 is in order of how it appears in the addendum. So if you
15 have your hard copy and you'd like to follow along, please
16 do so. And the additional data and analyses were added on
17 specific topics. Based it on suggestions that we received
18 either at the January or March 2018 SRP hearings, as well
19 as questions received from our partner State agencies, and
20 inquiries from individual SRP Panel members.

21 --o0o--

22 DR. DuTEAUX: So starting off again in order of
23 the addendum itself, the first that we added as a
24 reanalysis of the registrant submit a -- submitted FIFRA
25 guidelines study, which is noted in the document as

1 Hoberman, 1998. This was done by Dow AgroSciences. And
2 our reanalysis -- although it was included in the previous
3 three drafts, our reanalysis had a special emphasis on
4 brain morphology changes following in utero exposure to
5 chlorpyrifos. And that reanalysis, along with the tables,
6 is found in pages six through 12.

7 We were also asked to do a thorough analysis of
8 recent in vivo animal studies with developmental
9 neurotoxicity outcomes. And for this, we took a deep dive
10 into Carr et al., 2017, Gómez and Giménez et al., 2017 and
11 2018, Lee et al., 2015, and Silva et al., 2017. There's
12 an extensive discussion from pages 12 through 16, as well
13 as in the risk characterization sections on pages 54
14 through 57. These documents create the basis for our
15 point of departure and we'll be discussing those in great
16 detail later this morning.

17 We were also asked to look at additional animal
18 data. Specifically, we were asked to look to see if there
19 was an primate data, and there were. So we've gone back
20 and added those analyses from Coulston et al., 1971. We
21 were also asked to look to see if there were any genotoxic
22 potentials for chlorpyrifos. And so we added further
23 analysis for that from Muller et al., 2014. And those are
24 found on pages 16 through 17.

25 --o0o--

1 DR. DuTEAUX: Moving on. We were asked to update
2 the epidemiological studies. And so to that end, we have
3 added additional cohort studies from the Philippines,
4 Central Ohio, the Zhejiang Province in Chian, and Mexico
5 City. We also were asked to specifically and critically
6 analyze the quantitative exposure analyses in the human
7 epidem -- epidemiology studies, which we've done. And
8 you'll find that on pages 18 through 24.

9 We've added a brand new section on delayed
10 neuropathy and neurodegenerative effects or
11 organophosphates, with some specificity towards
12 chlorpyrifos. That was at a request of Dr. Beate Ritz, so
13 I'm sad to not see her with us today, if she would have
14 had any questions about what we covered. But in general,
15 we covered human case reports, or epi studies, animal
16 studies, and mechanistic studies on delayed neuropathy,
17 Parkinson's disease, and Alzheimer's disease. And a
18 special note that we also included information on a -- an
19 extended cohort in Egypt, where they're studying late
20 adolescent pesticide workers. And it's not delayed
21 neuropathy, but extended effects is what I would call it.
22 And you'll find those analyses on pages 24 through 47.
23 It's an extensive section.

24 We also added new sections on additional human
25 effects, including respiratory effects on pages 48 through

1 53, and obesity, per Dr. Araujo's suggestion on page 54.

2 We also added a new section on recent advances in
3 PBPK modeling. There was a brand new paper that came out
4 from Colorado State University. And so we have included
5 our synopsis of that as well.

6 --o0o--

7 DR. DuTEAUX: We were asked to include two
8 additional age groups in our exposure assessment in the
9 development of our margins of exposure. So to this
10 document, besides the other two age groups we included in
11 the December 2017 draft are infants, so those below age
12 one, and children, six to 12 years old.

13 We did a new analysis on secondary drift exposure
14 assessment, as we could through the available data. We
15 based that on DPR's air monitoring network data. And
16 that's found on page 68. We also did a reanalysis of
17 house dust data. And we are including new data Gunier et
18 al., from Brenda Eskenazi's lab, 2016; a re-estimation of
19 internal doses from the 1999 data and the 2006 data. And
20 that's found on pages 68 through 70.

21 We also revised the dietary exposure assessment
22 with updated risk values. That's found on pages 71
23 through 74.

24 --o0o--

25 DR. DuTEAUX: So does the Panel have any

1 questions on those additional data or do you -- I guess a
2 question from us. Have we covered all the bases - we hope
3 we did - on everything that was requested in the January
4 and March meetings?

5 I'm seeing Cort.

6 PANEL MEMBER BLANC: There was one small question
7 about whether there was any estimation of dietary exposure
8 from almond milk. And it may be that there was no data
9 available.

10 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Yes, Dr.
11 Blanc. We -- unfortunately, we were not able to do that
12 because that would require a longer period to ask our CDFA
13 lab to come up with a method development to be able to
14 analyze almond milk. And so in order to be able to do
15 that, it would take longer, and we couldn't -- we wouldn't
16 be able to, but we -- and so we were not able to get to
17 that at this time.

18 PANEL MEMBER BLANC: But I also noticed that in
19 that list of foods and exceedances of allowable residue
20 concentrations, almonds were not included in that list.
21 Is that because that's not -- leaving almond milk aside,
22 since almond is a heavy use crop, as I understood it from
23 your earlier presentations?

24 DR. DuTEAUX: Sure just to add what -- to what
25 Dr. Verder-Carlos said, we have met with the CDFA

1 laboratory twice in the last four months talking
2 specifically about method development. They are in the
3 throes of hiring additional staff to be able to do al
4 method development for pesticide -- pesticide evaluation.
5 At this point, we don't have California specific data.

6 And to develop a method for the analytics in the
7 laboratory, they're estimating about two years, and we
8 didn't want to delay this process that long.

9 PANEL MEMBER BLANC: Well, I mean, I'd be willing
10 to see what almond levels were like outside of California.
11 Really was just a -- it was sort of a question as to you
12 have this long list of foods, and litchi nuts and things.
13 And I was just a little surprised that almond is a heavy
14 use crop, not only here but elsewhere, wouldn't that have
15 been something that someone would have looked at
16 somewhere? I mean, like the Federal FDA.

17 DR. DuTEAUX: So we -- there was a table we were
18 going to show you, we can bring up, as a supplemental
19 data, if you'd like, later in the discussion about the
20 dietary. Almond hulls is -- has one of the highest
21 tolerances established by EPA at 12 parts per million.
22 Almond hulls tend to go into cattle and sheep feed. So it
23 might increase the burden of what shows up in meat
24 products and by-products.

25 But my understanding, and we can talk about this

1 a little bit more when we get into the dietary assessment,
2 is that they're very limited consumption data for almond
3 milk as a commodity to base any of our information on.

4 So therefore developing a method that's actually
5 targeted towards that commodity and also California's
6 specific would help us gather those data, but we don't
7 feel as a department we want to delay this process of TAC
8 evaluation and determination for an additional two years.

9 PANEL MEMBER GLANTZ: Well, could a reasonable
10 way to deal with this issue be to just basically put this
11 information in the report to say that, you know, this --
12 that almonds are -- have a user of chlorpyrifos, and --
13 but -- and, you know, would -- you know, could reasonably
14 be expected to be one mode of dietary exposure, but
15 there's no data available or laboratory methods. That way
16 at least it's in the report and acknowledged, but it
17 wouldn't holdup finishing the document. Does that seem
18 okay?

19 DR. DuTEAUX: We can absolutely do that or we
20 can.

21 PANEL MEMBER GLANTZ: Is that okay with you,
22 Paul? Do you see that as a reasonable.

23 PANEL MEMBER BLANC: Yeah, it's always important
24 to be transparent about what you've been thinking about.

25 PANEL MEMBER GLANTZ: Okay.

1 DR. DuTEAUX: Sure. We'll note that in the final
2 report.

3 Any other questions before I go into the actual
4 evaluation of chlorpyrifos?

5 PANEL MEMBER BLANC: Well, I'll make one other
6 comment just as a reader. I'm sensitive to your comments
7 about the potential massive bulk of the report. But as
8 one reads it, because when -- specifically in terms of the
9 neurodevelopmental issues, and for both the animal
10 experimentation, which is more relevant, and then the
11 supportive epidemiologic data. So you've reviewed in
12 detail all of the newer studies that were not included in
13 the previous draft or were dealt with briefly. But as I
14 understand it reading it, there are other
15 neurodevelopmental studies that were sufficiently
16 summarized in the previous draft that they don't reappear
17 here. Is that -- did I understand that --

18 DR. DuTEAUX: That's correct. The addendum is
19 only new data or deeper analysis of existing data.

20 PANEL MEMBER BLANC: Right. So it does make it
21 difficult. This is a challenge to be aware of. It makes
22 it rather difficult to assess the assessment of the body
23 of the literature that then leads to the endpoint
24 determination of the effect and your model points of
25 departure and all of that.

1 So I'm just putting it out there that because the
2 data are in two separate places, I'm assuming that
3 anything that you use to derive -- any studies that you
4 used to derive your final risk assessments are dealt with
5 in what is currently called the -- the -- this -- this
6 what is called an addendum. Because you do get into a
7 problem where the tail is wagging the dog.

8 DR. DuTEAUX: So to answer your question -- and I
9 know that you've been traveling and so you might not have
10 had a chance to read the document, but the actual studies
11 that we base the point of departure for chlorpyrifos using
12 a developmental neurotoxicity endpoint are in the
13 addendum.

14 PANEL MEMBER BLANC: Right. I just wanted to
15 make sure that -- but the studies that you're trying to
16 use for your secondary thing are at the previous study,
17 right?

18 DR. DuTEAUX: So for cholinesterase --

19 PANEL MEMBER BLANC: Yeah.

20 DR. DuTEAUX: -- inhibition, everything remains
21 in the previous draft.

22 PANEL MEMBER BLANC: Right. So I'm just pointing
23 out.

24 DR. DuTEAUX: Right, and so -- so this addendum
25 is specifically focused on developmental neurotoxicity

1 endpoints in animals.

2 PANEL MEMBER BLANC: Right. Right. What will --
3 what will then flow out of that and will be important as
4 our discussion continues so to make clear what, in fact,
5 the actual risk assessment is based on?

6 PANEL MEMBER GLANTZ: Well, in fact, I mean, I've
7 had a little bit of a concern about that same thing. I
8 understand why you didn't want to produce a 600-page
9 document. But the way I -- the way I -- I actually now
10 think of the addendum as the primary document. And the
11 original draft is really an addendum to that document.
12 And I think -- I think there is -- for people who haven't
13 been obsessing about this, this could be a point of
14 confusion.

15 So my suggestion for dealing with the issue that
16 Paul raised is I think the addendum should become the
17 primary document, because we're now saying that the
18 developmental neurotoxicity is the primary endpoint, and
19 then have the other report as -- it's just changing the
20 cover page -- present that as an addendum to this
21 document. Because, you know, I mean, I've had a couple
22 discussions with these guys about the executive summary
23 and the conclusions that we'll get to.

24 And I think those are the key, you know, for
25 people who only read the executive summary and the

1 conclusions, which is 99 percent of the world, those to me
2 are the important things. And I think the way to deal
3 with that, without making a lot of additional work and
4 dragging this process on, would be to just take the
5 document we're taking about today as the primary document.
6 But we don't want to throw out all that other work. I
7 mean, all the other stuff is important too.

8 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Thank you,
9 Dr. Glantz. What I was just thinking was to make the
10 other document an appendix at the -- for the final one, so
11 refer to it as a draft for 2017 and put it in the
12 appendix, so the whole document will be --

13 PANEL MEMBER GLANTZ: Yeah, I think that would be
14 fine too. I

15 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Yeah, so
16 then the whole document will be long, but it will at least
17 have the -- both documents will be in one place.

18 PANEL MEMBER GLANTZ: I mean, I think -- I think
19 you need material in the other document to tell the whole
20 story, but I think we want to really keep the focus on
21 what's in the -- in the document we're talking about
22 today. But I think that would be a fine solution, and
23 that would require just a very minimal amount of editing
24 in the other document. And none of the editing would be
25 substantive, yeah. That would be fine with me.

1 PANEL MEMBER ARAUJO: So what -- I appreciate the
2 entire new section that you devoted on the additional
3 effects on -- or additional human effects. And you
4 certainly include some of the studies on obesity. You
5 title that section chlorpyrifos effects on obesity.
6 However, you're mentioning several other studies that are
7 more in relation to effects on lipoproteins, and metabolic
8 effects, and diabetes.

9 So I wonder if -- if in -- it could be better
10 titled "Chlorpyrifos Effects on Metabolism", or "On
11 Metabolism and Obesity", if you still want obesity in the
12 title.

13 All the studies that are mentioned here are all
14 human. There is also animal work in there that supports
15 staff. And you previously made up very exhaustive
16 presentation of all the human studies and animal studies,
17 and that support the neurotoxicity outcomes. And it makes
18 sense, because those are the main outcomes that we know.
19 But for comprehensiveness, maybe you could add just like
20 one paragraph where it mentions also there are
21 additional -- there are also animal studies that support
22 these additional effects.

23 And if you do that, so you could title like the
24 whole section instead of, "Additional Human Effects", I
25 don't know, you could say, "Additional Health Effects of

1 Chlorpyrifos", and that way so you -- you may include in
2 the same section both human as well as the animal studies.

3 DR. DuTEAUX: May I -- may I respond to that
4 request --

5 PANEL MEMBER ARAUJO: Sure.

6 DR. DuTEAUX: -- just briefly?

7 So it was just our understanding from going
8 through the transcripts of the January and March meeting
9 that the request was specifically on human effects, but
10 we've developed an entire, oh, my gosh, treatise on animal
11 effects of obesity, metabolic changes, and the like, which
12 was probably 30 to 40 pages long. I want to say 30 to 40
13 pages long. It was an extensive overview of the animal
14 data, and we can add that in as the section. We just went
15 back through the transcript as our guiding philosophy for
16 what to add to the addendum, and we'd understood it was
17 human data that you wanted, but we can add in all the
18 animal data.

19 PANEL MEMBER ARAUJO: Yeah. Well, I don't
20 know if -- I -- yeah, I think that both would have
21 value --

22 DR. DuTEAUX: Okay

23 PANEL MEMBER ARAUJO: -- of being included. I
24 don't know if there was any specific interest on just
25 including the human data, but I think that both the human

1 and the animal data would be --

2 DR. DuTEAUX: Right. We can either add it as an
3 appendix or we can add it to the body of the document.

4 PANEL MEMBER ARAUJO: Sure.

5 PANEL MEMBER GLANTZ: Yeah, I think -- I mean,
6 I'm -- we're really -- in the interest of getting the
7 thing done though --

8 DR. DuTEAUX: Well, it's already written. It's
9 already written.

10 PANEL MEMBER GLANTZ: Okay.

11 DR. DuTEAUX: We just didn't put it in, because
12 it -- we thought --

13 PANEL MEMBER GLANTZ: Okay. But it's not going
14 to change the substance of any of the risk numbers or
15 anything?

16 DR. DuTEAUX: No. No, absolutely not.

17 PANEL MEMBER GLANTZ: Okay. Well, that's fine
18 then. Then adding it in is fine.

19 PANEL MEMBER ARAUJO: It's more like for
20 comprehensive -- comprehensiveness. So these other
21 effects and -- are at least mentioned. And who knows if
22 in the future they end up being even more important than
23 the --

24 PANEL MEMBER GLANTZ: Yeah. No, I'm not
25 objecting to putting it in. I'm just trying to finish.

1 DR. DuTEAUX: Right. Understood.

2 PANEL MEMBER GLANTZ: And if you guys are Happy
3 to put it in and it's going to materially effect, the
4 hazard identification of the risk --

5 DR. DuTEAUX: We were quite prolific from the
6 last two and a half months.

7 PANEL MEMBER GLANTZ: Okay.

8 (Laughter.)

9 DR. DuTEAUX: My staff is laughing. They were
10 quite prolific.

11 PANEL MEMBER GLANTZ: Yes, I agree with that, by
12 the way. I think that the amount of work reflected in
13 this new document for the time it took was quite
14 impressive, I think.

15 DR. DuTEAUX: Thank you.

16 Any other questions about the additional data
17 before we move on and do a deeper dive?

18 Okay.

19 --o0o--

20 DR. DuTEAUX: Hearing none. Let's move on to the
21 evaluation of chlorpyrifos as a toxic air contaminant, and
22 the data that we're evaluated in this addendum. So this
23 addendum, which will then be renamed, presents a
24 comprehensive analysis of all the currently available data
25 to establish a point of departure directly on

1 developmental neurotoxicity. We also added new data and
2 reanalysis as requested. And we've also updated appendix
3 three to provide the revised acetylcholinesterase
4 inhibition, margins of exposures, because we had some
5 changes in the model outputs, as well as adding the
6 additional 3X uncertainty factor. So all of that is in
7 addendum -- appendix number three.

8 --o0o--

9 DR. DuTEAUX: But moving on to how we went
10 through the animal data to come up with the point of
11 departure and the margins of exposure. We want to start
12 first with a description of the hazard identification.

13 --o0o--

14 DR. DuTEAUX: And for this, we thought it would
15 be helpful again to go over the definition of a point of
16 departure. So using a modified definition from IRIS, a
17 point of departure is the dose response point that marks
18 the beginning of a low dose extrapolation. It can be a
19 lower bound on a dose for an estimated incidence or a
20 change in response level from a dose response model, such
21 as a BMD, benchmark dose, or a no observed effect level or
22 low observe -- lowest observed effect level for an
23 observed incidence, or a change in level of response. So
24 it basically is that point or that dose at which these
25 changes start to occur.

1 The critical point of departure established from
2 in vivo animal data reporting developmental neurotoxicity,
3 or DNT - you'll see that acronym throughout the slide
4 slow - DNT effects at dose levels lower than those that
5 inhibit acetylcholinesterase. So those were the data we
6 focused on.

7 The in vivo animal data that report DNT effects
8 at dose levels lower than those that inhibit
9 acetylcholinesterase. The acronym we use is AChE.

10 --o0o--

11 DR. DuTEAUX: So a brief overview of the studies
12 that we used specifically to derive this point of
13 departure. There are five recently published studies
14 reporting developmental toxicity in rodents. Four studies
15 were conducted in rats and one in mice. All of them used
16 oral exposure. This is important when we get to the
17 exposure analysis. Three were by gavage, meaning that the
18 animals were fed by a tube and the chlorpyrifos in a
19 solution or pure was directly administered into the
20 stomach. Two of the studies used chlorpyrifos-infused
21 diet food or rat chow.

22 The studies were not available -- there were no
23 studies available to establish either dermal or inhalation
24 points of departure, meaning that there were no data that
25 we could unearth that showed any animal studies using skin

1 exposure or inhalation exposure only, and that showed
2 developmental neurotoxicity effects.

3 Two of these animal studies employed both
4 gestation and lactational exposure, meaning that the
5 pregnant dams were exposed during gestation, and that
6 their exposure was continued through lactation, so the
7 pups were exposed both in utero and through milk.

8 Two of the studies employed direct pup exposure,
9 either for one or seven days starting at postnatal day, or
10 PND, 10 meaning that the mothers were not exposed, but the
11 pups were exposed to chlorpyrifos starting at postnatal
12 day 10. And they were either exposed for one day or a
13 series of seven days.

14 And the neurodevelopmental responses in offspring
15 were tested in either young pups at postnatal day 21 to
16 25, or in adults at age 60 to 90 days. So just by this
17 simple slide, you can tell that even though we're only
18 looking at five studies, the approach in each one was
19 different.

20 --o0o--

21 DR. DuTEAUX: Three of the studies reported
22 increased motor or total activity. Two of the studies
23 showed altered anxiety levels, one showing an increase and
24 one showing a decrease. And one study detected impaired
25 spatial learning. So not only are the study methodologies

1 on the first slide different, but the measurement of
2 developmental neurotoxicity in the studies were also
3 different from each other. So it was impossible to do
4 study-to-study comparison.

5 In four of the studies, the lowest observed
6 effect level was the lowest tested dose, meaning that at
7 the lowest dose either 0.1 or 0.5 mg per kg per day of
8 chlorpyrifos, they still saw effects.

9 And when we have studies like that, we apply an
10 uncertainty factor of 10 to those lowest observed effect
11 levels, which results in an estimated no effect level, or
12 ENEL, for developmental neurotoxicity of the range of 0.1
13 to 0.5 milligrams per kilogram per day. So because we had
14 in four studies just a LOEL, to get a NOEL, we divide that
15 dose by a factor of 10.

16 In one of the studies of five, they actually did
17 note a no observed effect level, a NOEL, based on
18 increased anxiety and motor activity in rats that were
19 exposed in utero for six days. And that study is Silva et
20 al., in 2017.

21 --o0o--

22 DR. DuTEAUX: One -- only one study concurrently
23 measured acetylcholinesterase activity, and that -- for
24 particular study which was Carr et al., 2017, the LOEL for
25 brain acetylcholinesterase inhibition was one milligram

1 per kilogram per day, which again underscores the fact
2 that we're looking at developmental neurotoxicity effects
3 that occur below acetylcholinesterase inhibition.

4 So in response to one of our sister scientific
5 agencies, we went back and looked at the
6 registrant-submitted FIFRA guideline study, which is
7 Hoberman 1998. In that study, the rodents were exposed
8 gestationally and lactationally. The red blood cell
9 acetylcholinesterase was the most sensitive endpoint in
10 this study with a BMDL 10 to BMDL -- sorry to BMD 10 ratio
11 of 0.03 or 0.06 milligrams per kilogram per day.

12 So human health assessment branch set the
13 developmental null of this study at one milligram per
14 kilogram per day for brain morphometric changes, which was
15 what we were asked to look at in postnatal day 66 to 71
16 day old females.

17 And this LOEL for the brain morphometric changes
18 was 10-fold higher than the LOEL for developmental
19 neurotoxicity effects reported in the published studies,
20 again, underscoring the fact that the changes we were
21 looking at for developmental neurotoxicity were occurring
22 at lower levels.

23 --o0o--

24 DR. DuTEAUX: This chart, although a little
25 difficult to read, is also found in your document. It's

1 Table 11, if you'd like to look at it in your addendum.
2 This is just the summary of those studies with the LOELs
3 and NOELs for cholinesterase inhibition and the LOELs and
4 NOELs, if measured, for developmental neurotoxicity. So
5 again, this is just simply a summary of everything that I
6 just went through with the dose -- the dosing type, the
7 ages, or the period of time where the animals were dosed,
8 the dosing ranges, which is all found on the left-hand
9 column, the time that they were tested, and whether
10 effects were measured and a description of those effects.

11 --o0o--

12 DR. DuTEAUX: Through all of this in comparing
13 those five studies to reach other, the NOEL of 0.01
14 milligrams per kilogram per day, based on Silva et al. in
15 2017 was set for increased anxiety and motor activity in
16 the rat pups. This level of 0.01 milligrams per kilogram
17 per day was supported by applying that 10-fold uncertainty
18 factor to the LOEL values in the other four studies, as I
19 mentioned earlier.

20 The exposure duration in the five studies varied
21 from one day to 35 days. Therefore, the NOEL that we've
22 chosen of 0.01 mg per kg per day could be applicable to
23 both acute and repeated exposures.

24 Therefore, the acute oral point of departure of
25 0.01 milligrams per kilogram per day was used to evaluate

1 both acute dermal and inhalation exposures using
2 route-to-route extrapolation, so that we could develop our
3 margins of exposure, again because we had no dermal or
4 inhalation data from any animal studies.

5 --o0o--

6 DR. DuTEAUX: So now I'd like to move to an
7 overview of our exposure assessment. And because --

8 PANEL MEMBER BLANC: Can I just ask a question --

9 DR. DuTEAUX: Sure.

10 PANEL MEMBER BLANC: -- a clarification on the
11 table?

12 I think I understand. If -- it's not that if you
13 used one of these other studies with the similar LOEL, the
14 NOEL would come out to be also the same, it's just that
15 you -- the ones that's in red are the ones that you used,
16 as an example?

17 DR. DuTEAUX: The type in red is just to indicate
18 it's a -- whether a NOEL was measured or not. That's the
19 only indication. And in the -- in the slide handouts, we
20 don't have the footnotes. But in Table 11 in the
21 document, you'll see it noted that red type indicates
22 whether or NOEL was measured or not -- whether it's --
23 sorry, whether the --

24 PANEL MEMBER BLANC: NOEL was calculated.

25 DR. DuTEAUX: -- dose level was measured.

1 PANEL MEMBER BLANC: So it's actually measured in
2 Silva, it's not that it's divided by 10?

3 DR. DuTEAUX: Right. Right. So the actually --
4 the authors actually denoted 0.01 milligrams per kilogram
5 per day as NOEL.

6 PANEL MEMBER BLANC: I've got you now. Right.
7 But on the other -- so it's reinforcing, because if you
8 simply used the LOELs that you have from the other
9 studies, you come out with the same --

10 DR. DuTEAUX: Right. Divide it by 10, you come
11 out to the same number.

12 PANEL MEMBER BLANC: Right. Okay. So it
13 reinforces it.

14 DR. DuTEAUX: Right. Right.

15 PANEL MEMBER BLANC: Okay. Thanks. That's very
16 helpful.

17 DR. DuTEAUX: Right. Did you have anything else?

18 --o0o--

19 DR. DuTEAUX: Okay. Any other questions before
20 we move on to the exposure assessment?

21 Okay. So to be clear, and this came up in some
22 conversations with individual SRP members who wanted to
23 make it very clear that the exposure assessment was
24 comprised of two independent parts that were then combined
25 together when we were looking at the margins of exposure.

1 The first was bystander exposure to spray drift
2 from chlorpyrifos applications, either aerial, ground
3 boom, or air blast. So that was one exposure assessment.

4 The second exposure assessment was dietary
5 exposure to food and drinking water.

6 So we're going to go through the bystander
7 exposure first and then the dietary exposure show, and
8 then show how they're combined.

9 --o0o--

10 DR. DuTEAUX: So for bystander drift exposure
11 assessment, we were calculating exposure estimates from
12 direct inhalation exposure from airborne chlorpyrifos
13 resulting from pesticide applications. They were one-hour
14 exposures and these were modeled air concentrations, not
15 direct measurements. And I'll -- I'll explain a little
16 bit more about that briefly.

17 The incidental oral exposure was also estimated.
18 And incidental oral exposure includes all non-dietary
19 ingestion of soil, or dirt, or other things from
20 contaminated surfaces by hand-to-mouth, hand-to-object
21 contact. So this is from chlorpyrifos that has been
22 deposited from spray drift on areas close to treated
23 field. As I said, contaminated surfaces or soil that
24 somehow gets ingested.

25 And because we're of the age groups we were

1 looking for for the exposure assessment in the document as
2 a whole, this is an important route of exposure.

3 We also looked at dermal exposures through skin
4 contact with again contaminated soil and surfaces,
5 estimating a 1.5 hour exposure. And then we combine all
6 of those three, the direct inhalation from estimated air
7 concentrations, incidental oral exposure, and dermal
8 exposure to come up with the combined spray drift
9 exposure.

10 --o0o--

11 PANEL MEMBER GLANTZ: So I just have one
12 questions. So you used the half a mile as your boundary
13 for the bystanders. I don't know if you're --

14 DR. DuTEAUX: Actually, we modeled every distance
15 from 25 feet in increments out to a quarter -- it's a
16 quarter mile 2,608. Half a mile.

17 PANEL MEMBER GLANTZ: Yeah, half a mile.

18 DR. DuTEAUX: Right. So there -- there were
19 increments.

20 PANEL MEMBER GLANTZ: Yeah. So you -- I was just
21 curious, because you did still find exposures at a half a
22 mile, why did you pick a half a mile since you were --

23 DR. DuTEAUX: That's the limit of air model.

24 PANEL MEMBER GLANTZ: Oh. Okay.

25 DR. DuTEAUX: Right. That's the -- that's the

1 limit of its ability to calculate these with the -- a
2 better signal-to-noise ratio.

3 PANEL MEMBER GLANTZ: Okay. So I think just to
4 clarity that, again I don't think this is something to
5 hold the document up over. But I think just putting a
6 statement in there of what you just told me that, you
7 know, the reason you -- that it ended at a half a mile is
8 that was the limit of your model, but that the -- the fact
9 that you were still detecting substantial exposures at a
10 half a mile, you know, indicates that the people beyond a
11 half a mile are actually getting exposed, because -- you
12 know, alternatively, if you'd gone out to a half a mile
13 and come up with negligible levels, then that would have,
14 you know, meant something different.

15 So I don't think you need to -- you know, this is
16 not a fatal problem with the report. But I just think --
17 especially since I worried about that and I noticed it
18 came up in one of the public comments, just clarifying
19 that will just be useful. And again, I think that -- I
20 don't think that changes the report, but I think it would
21 just make it, you know -- it's a matter of transparency
22 and making sure that subsequently someone doesn't
23 misrepresent -- not you guys, but somebody else
24 misrepresent the finding that you don't have to worry
25 after a half mile.

1 DR. DuTEAUX: We will definitely add a statement
2 to that effect. Any other comments before we move on to
3 the next item?

4 CHAIRPERSON KLEINMAN: Just for clarification,
5 the drift equations do not take into account evaporation
6 and vapor phase exposures, right? I think that was dealt
7 with in the original document.

8 DR. DuTEAUX: Right, in the original document.
9 We do have a small section about the spray drift
10 re-volatilization. And I can talk to that in a little
11 bit. I think we have a table coming up about that.

12 But you're right, the bottom many, and we can
13 talk about this later in the presentation, is that
14 regardless of what additional things we add in going out
15 further distances or adding re-volatilization in,
16 chlorpyrifos still meets the definition of a toxic air
17 contaminant, either with a developmental neurotoxicity
18 endpoint or a acetylcholinesterase inhibition endpoint.
19 So the definition is met.

20 Okay. So we modeled for -- again, this is
21 strictly for bystander drift. We modeled distances of 25
22 feet to 600 -- 2,608 feet from the edge of a treated
23 field. We used the most common and reasonable worst case
24 scenarios for application rates and volumes. We used
25 aerial application, either fixed wing or rotary, because

1 the -- they are the worst case scenarios.

2 But because chlorpyrifos is also used through
3 air -- orchard air blast and ground boom, to be as
4 conservative as we could, we modeled those applications as
5 having the same air drift as the aerial application, which
6 in reality they typically don't.

7 --o0o--

8 DR. DuTEAUX: We assessed four age groups, infant
9 children one to two years old, children 6 to 12 years old,
10 and females of child bearing ages, 13 to 49.

11 We estimated absorbed doses for inhalation and
12 dermal routes for our margin of exposure calculations.
13 For inhalation, we assumed 100 percent external
14 availability, meaning that in the spray drift cloud, the
15 air concentration was 100 percent available. We also
16 assumed 100 percent absorption at the target site, both of
17 which are very conservative as you could estimate. A
18 Hundred percent absorption means that we did not count any
19 metabolism of chlorpyrifos as it -- or as it entered the
20 body, meaning there was no detoxification that we allowed
21 for in this model, 100 percent absorption at the target
22 site.

23 For dermal, we assumed a 9.6 absorption. And
24 this was developed in a memo approximately 1991 in DPR
25 specifically for chlorpyrifos. And so we used that

1 number. That is up from the dermal absorption level that
2 we used in for acetylcholinesterase inhibition, which was
3 approximately three percent, is that right, Eric?

4 DR. KWOK: Yeah, the -- for our --

5 DR. DuTEAUX: In the model.

6 DR. KWOK: In the model, we don't need the dermal
7 absorption, because the PBPK model already using the
8 permeability coefficient to account for the dermal
9 absorption. So but because now we are using the animal
10 study, so then we need to have dermal absorption factor
11 to -- for use in calculating the internal dose. And the
12 9.6 percent actually, as Dr. DuTeaux mentioned, it was a
13 determination at DPR by a staff toxicologist when he
14 reviewed all the available human study and come up with a
15 number.

16 DR. DuTEAUX: Thank you.

17 --o0o--

18 DR. DuTEAUX: Okay. So that was the est -- how
19 we modeled the exposure assessment for spray drift.

20 Moving on to how we assess dietary exposure.
21 Again, we looked at the same four age groups. For food,
22 we were looking both at acute and steady state analyses.
23 We looked at all foods with -- where chlorpyrifos is
24 legally registered to be used on it. So all crop groups,
25 all food types, and that includes 79 individual U.S. EPA

1 tolerances, and three crop group tolerances.

2 The residues were based on the USDA Pesticide
3 Data Program monitoring database. And consumption was
4 based on a 2003 through '08 NHANES data.

5 The drinking water was based on DPR measured
6 residues in surface water in California. So not
7 necessarily drinking water, but surface water.

8 --o0o--

9 DR. DuTEAUX: So this is how we combined the
10 exposure for one day. We take the spray drift exposure
11 for dermal, non-dairy -- dietary oral and inhalation. We
12 combine it with the dietary exposure from food and
13 drinking water, and we come up with a spray drift and
14 dietary combined exposure estimate.

15 --o0o--

16 DR. DuTEAUX: These are the margins of
17 exposure -- from exposure to chlorpyrifos for children one
18 to two year old, as an example. The margin of exposure
19 using a developmental neurotoxicity endpoint is 100. So
20 if you look at the distances downwind from an application
21 site, which is in the left-hand column, from 25 feet to
22 2,608 feet, you'll see specifically for spray drift what I
23 talked about. Our exposure estimates -- sorry, the
24 margins of exposure for dermal exposure, incidental oral,
25 exposure, and inhalation, and then combined. Then you'll

1 see two columns showing the dietary exposure and MOEs, one
2 for food, and one for drinking water. And then the
3 combined spray drift and dietary margins of exposures at
4 the far right.

5 Please note that the spray drift values for all
6 exposure routes and combined routes vary from the distance
7 downwind from an application, as you would expect, because
8 it's based on deposition and air concentration.

9 However, dietary analysis of food in drinking
10 water is completely independent of the distances, but we
11 wanted to show those values in the same table. That
12 dietary assessment is based on what people consume on an
13 average one day basis.

14 As Dr. Glantz was pointing out, there are
15 distances where the MO -- where the exposures are above
16 the level of the MOE, indicating less of health risk. And
17 those values for dermal, incidental, oral inhalation and
18 combined for this particular age group, one to two year
19 olds, is acceptable or above the margin of exposure of 100
20 at that half mile distance.

21 However, the important thing here is that no
22 level of spray drift exposure combined with dietary
23 exposure is above the margin of exposure. So all of the
24 combined values, when you look at what people eat and
25 drink, along with if they're potentially exposed to

1 inhalation or deposition, is below the MOE, and therefore,
2 indicating a potential health concern.

3 --o0o--

4 PANEL MEMBER ANASTASIO: Sorry, Shelley, can I
5 interrupt for a second?

6 DR. DuTEAUX: Sure.

7 PANEL MEMBER ANASTASIO: So I don't remember this
8 from the last version that food and drink were so
9 important. Has that changed or am I mis-remembering here?

10 DR. DuTEAUX: You are spot on. It's because the
11 endpoint of developmental neurotoxicity drives the margins
12 of exposure. This was different for acetylcholinesterase
13 endpoint. These are specific to using a developmental
14 neurotoxicity endpoint.

15 PANEL MEMBER ANASTASIO: I see. And the water
16 exposure, you say that's from surface water measurements.
17 Is that specifically in agricultural areas where you
18 expect a lot of chlorpyrifos application or is this more
19 statewide average?

20 DR. DuTEAUX: It's where -- this is where -- this
21 is a statewide average. So DPR measures surface water and
22 it could vary from actual rivers that are drinking water
23 sources to irrigation canals. And this is a combined
24 value for chlorpyrifos for surface water in California.

25 If we looked at drinking water specifically, we

1 are actually in the process of developing a method to look
2 at combined data sources and mapping that. We're not at
3 that point yet, but we're going to be working on it for
4 another -- another pesticide. So this is a very
5 conservative estimate, because the ex- -- the
6 concentrations can be high.

7 PANEL MEMBER ANASTASIO: And you use some kind of
8 weighted average concentration or how do you come up with
9 a --

10 DR. DuTEAUX: For the surface water monitoring
11 program?

12 PANEL MEMBER ANASTASIO: For the water. Right,
13 for the water concentration.

14 DR. DuTEAUX: Eric, do you happen to know that
15 answer or should we get back with Ann.

16 DR. KOSHLUKOVA: So there were -- my
17 recollection, there were over 2,000 residues that were
18 measured within, I believe, five-year period. And there
19 were detected residues. Some were very high. We could
20 not verify that their -- those detections would become
21 potable water, but we used them in a probabilistic
22 analysis. And the exposure that was calculated was at the
23 99.9 percentile.

24 PANEL MEMBER ANASTASIO: I see. So this is kind
25 of an upper limit of what you'd expect from water.

1 DR. DuTEAUX: Right, what you'd expect from
2 surface water.

3 PANEL MEMBER ANASTASIO: Right.

4 DR. DuTEAUX: I'd have to say not completely all
5 potable water.

6 PANEL MEMBER ANASTASIO: Right. Okay. Thank
7 you.

8 DR. DuTEAUX: So again, a very conservative
9 estimate, 99th percentile, and, you know, high
10 concentrations.

11 PANEL MEMBER ANASTASIO: Right.

12 PANEL MEMBER BLANC: So I have a comment on the
13 word "driving", because I know you used it in your oral
14 comments, and it appeared in the text as well that the
15 dietary is driving the --

16 DR. DuTEAUX: The risk.

17 PANEL MEMBER BLANC: -- the risk.

18 DR. DuTEAUX: Right.

19 PANEL MEMBER BLANC: And I probably would avoid
20 that term, because it suggests that if there were no
21 dietary, and there were only spray drift, there wouldn't
22 be any risk. But actually what your data show is that
23 you'd have to get out to a half a mile to fall -- to go
24 above 100, if you see what I mean.

25 So I would -- I understand -- having seen and

1 heard the presentation, I understand better what you mean
2 by drive. But I probably wouldn't use that word, even
3 though it may cause you to use a more complex sentence.

4 DR. DuTEAUX: Okay. We'll take that under
5 suggestion. Thank you.

6 PANEL MEMBER BLANC: Because I actually objected
7 to it when I read it in the document, because it puts a
8 spin on it.

9 PANEL MEMBER GLANTZ: So what -- yeah, so what
10 language would you --

11 PANEL MEMBER BLANC: Well, consistent with what
12 some of your other comments. I think what you could say
13 is that at half a mile or more, the data suggests that
14 spray drift alone would not achieve -- would not reach the
15 100 threshold, but anything -- but certainly at closer
16 than that, it would. And that as -- and in contrast, the
17 dietary is independent of distance -- I mean, is not
18 driven by distance as spray drift. And therefore, it
19 meets the threshold on its own.

20 Because, you know, you could say it's spin or
21 it's cup half empty or half full, but the implication that
22 could be misread into the use of the term "drives" the
23 risk could be easily misinterpreted. That's not your
24 intention is that spray drift is not consequential.

25 DR. DuTEAUX: I see what you're saying. However,

1 everyone in California eats and drinks, so how do we get
2 away from saying that dietary for developmental
3 neurotoxicity endpoint is the most important thing?

4 PANEL MEMBER GLANTZ: I think that -- if you just
5 say that, I think that would be --

6 DR. DuTEAUX: Well, we try to stay away from --

7 PANEL MEMBER BLANC: Editorializing.

8 DR. DuTEAUX: Exactly, editorializing. We try
9 to --

10 PANEL MEMBER BLANC: But I -- and I'm just trying
11 to say that "drives" is also editorializing. I would just
12 say explicitly that --

13 PANEL MEMBER GLANTZ: Well, he's what I -- can I
14 make a suggestion? Because, you know, why don't -- I
15 understand the point that Paul is making. And, you know,
16 I think in writing a document like this, you need to be
17 really careful to make sure you don't use language that
18 somebody could take out of context. But why don't we
19 let -- I think -- I don't think there's controversy about
20 the need to be precise here. So maybe why don't we go on
21 and maybe you could think about it, and maybe when we take
22 a break, work -- talk to them and come up with a slightly
23 rewording that would avoid the problem.

24 I don't think people are -- I don't think we're
25 having a substantive discussion here. But I do -- I do

1 understand the point Paul is trying to make. I think --
2 but I think writing a -- you know, editing by committee is
3 always a drag. So maybe when we take a break, you can get
4 together and come up with a little -- a slightly different
5 wording.

6 CHAIRPERSON KLEINMAN: Also, we do need to keep
7 our focus on the fact that we are trying to determine
8 whether it's a toxic air contaminant, and that's what's
9 next, so why don't we do that.

10 DR. DuTEAUX: Thank you. Thank you.

11 (Laughter.)

12 --o0o--

13 DR. DuTEAUX: Okay. So the criteria for listing
14 pesticides as toxic air contaminants is very specific in
15 the California Code of Regulation, Title 3, section 6864,
16 meaning that for non-cancer effects, the threshold level
17 is ten times below the air concentration, which has been
18 determined by our Director to be protected -- protective
19 of human health.

20 --o0o--

21 DR. DuTEAUX: So for chlorpyrifos, specifically
22 evaluating as a toxic air contaminant with a TAC being
23 defined as air concentrations modeled or monitored that
24 exceed the reference concentration divided by 10.
25 Chlorpyrifos will meet the criteria of listing as a TAC to

1 protect against developmental neurotoxicity through both
2 endpoints, developmental neurotoxicity specifically and
3 acetylcholinesterase inhibition.

4 If we look at specifically for the developmental
5 neurotoxicity reference concentration for children one to
6 two years old, the TAC it will -- chlorpyrifos will be a
7 TAC if the air concentration is greater than or equal to
8 0.0005 milligrams per meter cubed, or 500 nanograms per
9 meter cubed in concentration.

10 So the RfC for children was 0.05 -- 0.005, so you
11 can see that we've divided that by 10 to come up to
12 determine the -- to do the TAC determination. If,
13 instead, we use acetylcholinesterase, which was in the
14 other document, the air concentration is greater than
15 0.000 -- 0.00095 milligrams per meter cubed, or 950
16 nanograms per meter cubed. And that's using the reference
17 concentration in the other document for children ages one
18 to two year old of 0.0095 milligrams per meter cubed.

19 Actually, I correct myself, that number is not in
20 the Previous document, because that is the additional
21 uncertainty factor of 3 -- a total uncertainty factor of
22 300, which you'll find in appendix 3 of this document. So
23 by either way, chlorpyrifos meets the criteria of being a
24 toxic air contaminant.

25 CHAIRPERSON KLEINMAN: Shelley, this pre-supposes

1 that the concentration that we're talking about is in a
2 place where children are logically concluded to be
3 exposed, you know, because you could say, you know, go out
4 over the ocean and you're not going to find any.

5 (Laughter.)

6 CHAIRPERSON KLEINMAN: So, you know, is it
7 with -- what is the spatial parameter? Where is -- is
8 monitored where or does that have to be specified?

9 DR. DuTEAUX: If we find it at all.

10 DPR ASSISTANT DIRECTOR VERDER-CARLOS: ARB -- Air
11 Resources Board is actually -- monitors chlorpyrifos for
12 DPR. And also, we have an air monitoring network, so we
13 do have monitoring results for chlorpyrifos in 2011 for
14 DPR, and for ARB since -- for a long time now. So ARB
15 monitors chlorpyrifos as well.

16 So these levels will then be compared to what the
17 air monitoring network would have results for.

18 CHAIRPERSON KLEINMAN: But the air monitoring
19 networks are located --

20 DPR ASSISTANT DIRECTOR VERDER-CARLOS: In
21 California.

22 CHAIRPERSON KLEINMAN: -- in California, but
23 also --

24 DPR ASSISTANT DIRECTOR VERDER-CARLOS: In high
25 use.

1 CHAIRPERSON KLEINMAN: -- in areas where you'd
2 expect to see --

3 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Yes.

4 CHAIRPERSON KLEINMAN: -- chlorpyrifos. So I
5 guess it would be -- you know, some specification of
6 where --

7
8 ASSISTANT DIRECTOR VERDER-CARLOS: Where to
9 compare it to?

10 CHAIRPERSON KLEINMAN: You know, in other --
11 what's the comparison locations or something. It may be
12 in the original report, where, you know --

13 DPR ASSISTANT DIRECTOR VERDER-CARLOS: The air
14 monitoring net -- you mean, the air monitoring network
15 results.

16 CHAIRPERSON KLEINMAN: But I think, you know, to
17 just put in a blanket number that it can't be less than
18 this anywhere ever is -- you know, is somewhat
19 unrealistic. Whereas, if we have, you know, within, you
20 know -- you know, some guidelines for where monitoring is.
21 Now, maybe that's the risk management side of things, in
22 which case, we might -- you know, as a Committee, we might
23 want to, you know, put in a recommendation that monitoring
24 is, you know, in locations where bystanders are likely to
25 be exposed.

1 DPR ASSISTANT DIRECTOR VERDER-CARLOS: So are --
2 ARB monitors application site -- monitoring applications
3 sites as well, but our air monitoring network is bystander
4 monitors. So it is located in high-use areas, but
5 strategically downwind or -- downwind from pesticide
6 applications. So we have a whole air monitoring network
7 that we've been doing since 2011, actually in -- last
8 year, we expanded that network as well to eight
9 monitoring. So we can put something in here saying that
10 we have an air monitoring network, I believe, or just
11 to --

12 CHAIRPERSON KLEINMAN: The reason I bring this up
13 is I think in one of the public comments there was a
14 question about the likelihood of anybody being exposed.
15 And I would like to, you know, make sure that -- because
16 they use some very specious probability analysis that, you
17 know, came up to ridiculous numbers. And I think if we
18 have something concrete, it could be helpful.

19 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Okay.

20 PANEL MEMBER ANASTASIO: I'd like to say one
21 thing, really just to reiterate what Shelley said is that
22 these two approaches yield very similar numbers, right,
23 within a factor of two. So I'm very encouraged by the
24 fact that the DNT endpoint and the acetylcholinesterase
25 inhibition endpoint with a slightly higher uncertainty

1 factor are really close. So I think that's a good vote of
2 confidence in terms of where we are on what the inhalation
3 concentration should be.

4 --o0o--

5 DR. DuTEAUX: So as I mentioned, a TAC
6 determination -- meeting the TAC criteria can be done by
7 either modeled or monitored data. In this addendum, we
8 specifically modeled spray drift air concentrations. And
9 the one-hour time-weighted average concentrations that we
10 came up with, using the scenario of a child one to
11 three -- one to two years old with application by a fixed
12 wing aircraft with two gallons per acre spray volume and a
13 two pound per application rate comes up with these various
14 air concentrations starting from 25 feet downwind all the
15 way out to 2,608 feet downwind.

16 It's important to note that our modeled air
17 concentration using the developmental neurotoxicity
18 endpoint are all above the TAC value of 0.0005 milligrams
19 per meter cubed. So all of our modeled air concentrations
20 exceed the reference con -- the TAC reference
21 concentration.

22 --o0o--

23 DR. DuTEAUX: So we used that conservative
24 approach of using the modeled air concentration. But just
25 to compare -- and I apologize for the quality of this.

1 This came from a 2016 DPR memo -- these are the measured
2 air concentrations from the air monitoring network. And
3 this shows points from Salinas, Shafter, and Ripon. And
4 these are shown in nanograms per meter cubed and the
5 value -- the only value on this table that exceeded the
6 TAC concentration was a maximum value collected in Shafter
7 in 2013.

8 So if we used the modeled, if we used the
9 monitored air concentrations, our evaluation for exposure
10 risk would have been different. We were much more
11 conservative with the modeled air concentrations. So I
12 just wanted to show this in comparison.

13 So any questions on the exposure analysis before
14 we move on to the risk characterization?

15 CHAIRPERSON KLEINMAN: Shelley, just to make
16 the -- you know, make it easier for people to make the
17 comparison, would it be possible to add another column to
18 the modeled spray drift to put it in nanograms per cubic
19 meter?

20 DR. DuTEAUX: Sure. We can do that. We can add
21 the measured air concentrations as well.

22 CHAIRPERSON KLEINMAN: Yeah, because I think that
23 really lights it up very nicely.

24 DR. DuTEAUX: Okay. And most of those data are
25 found in table 18.

1 --o0o--

2 DR. DuTEAUX: Okay. Moving on to the risk
3 characterization. So the way that we calculate risk is we
4 define it as a threshold effects expressed as margin of
5 exposure. And a margin of exposure roughly is the ration
6 of the critical NOEL, or point of departure, ratio to the
7 estimated human exposure level.

8 The target margin of exposure, as I mentioned
9 earlier, for developmental neurotoxicity effects is 100.
10 And that is comprised of a 10-fold factor for interspecies
11 sensitivity, and a 100-fold factor for intraspecies
12 variability. The critical NOEL, as I remind you from the
13 studies we looked at is 0.01 milligrams per kilogram per
14 day.

15 --o0o--

16 DR. DuTEAUX: Because we had no inhalation or
17 dermal data, we had to do a route-to-route extrapolation
18 of the internal dose from a 0.01 milligram per kilogram
19 per day dose -- internal dose to figure out what that
20 means, as -- we kind back calculate -- back out to what it
21 would have been as an air concentration or a skin
22 concentration.

23 It's performed to convert these internal doses to
24 external doses. But we have to start by having an
25 external oral dose, and then an internal estimated dose.

1 There are a lot of assumptions that go into a
2 route-to-route extrapolation. And to do so, we -- it's a
3 very complicated process. And we're often forced to do so
4 for pesticides, because we rarely have inhalation data
5 except for the fumigants. The -- so we derived acute
6 inhalation and dermal PoDs from an oral NOEL.

7 --o0o--

8 DR. DuTEAUX: And this is the table -- this is
9 actually a copy of table 23 in the addendum. And it shows
10 the critical NOELs used for our risk assessment, our point
11 of departure. And as I mentioned earlier divide the
12 point of departure by 100 to come up with a reference
13 dose, depending on if it's oral, or dermal, or a reference
14 concentration for inhalation. And these are the values
15 that we look at for the evaluation of chlorpyrifos as a
16 TAC.

17 For inhalation, you'll note that the infants are
18 the age group that is the most sensitive age group here.
19 And the reference concentration for acute inhalation for
20 infants is 0.004 milligrams per meter cubed. However,
21 both the dermal exposure, which we could only model for
22 one age group and the inhalation exposure, which we could
23 again only model for one age group is lower.

24 So although we aren't going to perhaps use the
25 word "drive", you can see that acute oral exposure to

1 chlorpyrifos has a much lower reference dose when compared
2 to the reference concentration for inhalation. That does
3 not mean it's not a TAC. It definitely meets the
4 definition of TAC. Although, oral exposure is of higher
5 concern, I'll say that.

6 --o0o--

7 CHAIRPERSON KLEINMAN: Shelley, just a point.
8 You know, the reference dose is different than the
9 reference concentration. So, you know, just conflating
10 the two numbers is not going to work.

11 DR. DuTEAUX: Yeah. You can't compare, because
12 we had to do this route-to-route extrapolation. This --

13 CHAIRPERSON KLEINMAN: They're two different
14 things you have to --

15 DR. DuTEAUX: -- this dose re-calculation.

16 (Video cut out.)

17 DR. DuTEAUX: When we combine spray drift
18 exposure estimates at 2,600 feet from the edge of a field
19 for dermal exposure, incidental oral exposure, and
20 inhalation routes combined with the 99.9th percentile
21 exposures for dietary and drinking water for chlorpyrifos,
22 we find that -- actually, sorry, that's -- that's how we
23 did the Margin of exposure.

24 At 2,600 feet from a field, those combined spray
25 drift MOEs for all four sensitive populations were at or

1 greater than the target of 100 at that -- only at that
2 measurement. And as Dr. Blanc pointed out, all
3 measurements closer to the field than that, the MOEs
4 were -- the numbers were below the target MOE 100. And we
5 can make a clear statement about that in the document for
6 you.

7 PANEL MEMBER BLANC: Yeah, that would be helpful.

8 DR. DuTEAUX: Thank you.

9 However, when dietary and drinking water
10 exposures were added, the aggregate margin of exposure for
11 these combined routes and sources of exposure were below
12 the target of 100, indicating a health concern.

13 --o0o--

14 DR. DuTEAUX: And this is a partial table from
15 the document as well. I don't remember the table number.
16 It could be 27. So this shows the population subgroups,
17 dietary only, drinking water only, combined spray drift
18 and combined spray drift with diet in drinking water.
19 Those numbers shaded in red indicate they're below the MOE
20 of 100 at 2,600 feet. Those in white indicate the only
21 ones that were acceptable.

22 However, again, you can't just separate spray
23 drift exposure from people eating and drinking, because
24 they have to eat and drink every day. So combined spray
25 drift exposure with diet in drinking water, all the values

1 are below 100.

2 PANEL MEMBER BLANC: Can I ask a technical
3 question? Would it be a lot of work to say as opposed to
4 half a mile, what the distance is based on your model?
5 And I know it -- it's obvious that at a quarter of a mile,
6 you are below 100.

7 DR. DuTEAUX: Um-hmm.

8 PANEL MEMBER BLANC: But is it very difficult
9 from your model -- it gives you continuous estimates,
10 right, continuous doses?

11 DR. DuTEAUX: No, it doesn't. We actually have
12 to put in the actual feet.

13 PANEL MEMBER GLANTZ: Well, I think the way to
14 deal with this is to say that, is --

15 PANEL MEMBER BLANC: Yeah, I just -- it sounds
16 like it's more --

17 PANEL MEMBER GLANTZ: No, it's to -- just to say
18 that the -- that a half -- at a quarter mile --

19 PANEL MEMBER BLANC: You would be --

20 PANEL MEMBER GLANTZ: -- your over, you know,
21 period. I mean --

22 DR. DuTEAUX: Okay.

23 PANEL MEMBER BLANC: Yeah, that's fine.

24 DR. DuTEAUX: Okay.

25 PANEL MEMBER GLANTZ: There's a theme here of

1 trying to get this finished.

2 DR. DuTEAUX: Okay. You mean, an 1/8th of a
3 mile, a 1/4 of a mile? We've done that for our -- when we
4 do mitigation efforts, we talk more in colloquial language
5 like 1/4 mile, 1/2 mile. I don't think we talk about
6 1/8th of a mile, but we do talk about that.

7 PANEL MEMBER GLANTZ: Well, a quarter mile it
8 would be over, so --

9 DR. DuTEAUX: Sure. Easy enough to add.

10 PANEL MEMBER GLANTZ: Yeah.

11 CHAIRPERSON KLEINMAN: You do have some of that
12 data in the appendix.

13 DR. DuTEAUX: Yes. Yeah, appendix 2, which I
14 think is your favorite appendix.

15 CHAIRPERSON KLEINMAN: Right.

16 (Laughter.)

17 PANEL MEMBER GLANTZ: But again, this is all
18 points of clarification.

19 DR. DuTEAUX: Yes.

20 PANEL MEMBER GLANTZ: And making it harder for
21 people to misrepresent what the document says, rather than
22 any substantive scientific criticisms.

23 DR. DuTEAUX: Thank you for that. Okay.

24 --o0o--

25 DR. DuTEAUX: So these are some of our moving on

1 to things that aren't here, but that have come out of
2 conversations with individual SRP members. These are some
3 of the proposed additions or edits for the final document
4 that we would like to give to you in a matter of weeks.

5 --o0o--

6 DR. DuTEAUX: So for the exposure -- along with
7 the notes that I've written down here, these are
8 additional things. For the exposure and the TAC
9 determination discussion specifically, we want to clearly
10 state how chlorpyrifos can meet the TAC criteria. And
11 we'll either add it in the risk characterization, risk
12 appraisal, or conclusion sections. And there's an option
13 that we can reserve the TAC designation for
14 acetylcholinesterase and put it in an appendix, if you
15 think it's going to confuse it. But basically, by either
16 endpoint, chlorpyrifos can be designated as a TAC.

17 (Thereupon a discussion occurred off the record.)

18 PANEL MEMBER BLANC: Now, straying into what
19 could be a major point of -- in need of clarification,
20 because of how the -- what we were distributed before we
21 arrived how it reads. So I think if the -- I would
22 suggest that you take the option or reserving your
23 discussion for what it would look like if the TAC were not
24 based on neurodevelopmental, rather based on
25 acetylcholinesterase inhibition that you do relegate that

1 mostly to an appendix. And that everywhere where it says
2 the first option is acetylcholinesterase inhibition. The
3 second option would be neurodevelopment.

4 I think the first and the primary option is
5 neurodevelopmental. And you can say were we to, instead
6 of that, use acetylcholinesterase inhibition, and bearing
7 in mind that we're now using a -- an added factor of 3, we
8 would be less than an order of magnitude different.
9 Although, we would be not quite as conservative.

10 DR. DuTEAUX: Um-hmm.

11 PANEL MEMBER BLANC: So I think everywhere in the
12 document -- in the document that I've seen that has, you
13 know, reversed the order --

14 PANEL MEMBER GLANTZ: Well, we've had -- I've had
15 a couple of discussions with the DPR people. And if you
16 look at the revised -- they hand it out --

17 PANEL MEMBER BLANC: Yeah, but I only got it, you
18 know, right before.

19 PANEL MEMBER GLANTZ: Well, I know. I know. And
20 I kept saying send it to us earlier. And they kept
21 saying, like, we're doing it as fast as we can.

22 PANEL MEMBER BLANC: And it was hard for me to
23 tell from the --

24 PANEL MEMBER GLANTZ: But I think -- I think what
25 I would suggest in the interests of -- I mean, I agree

1 with you. I think they -- they have tried to do that. I
2 have a couple of other tweaks to suggest later. But I
3 think it would be good to read what they gave us, maybe
4 come back to -- this is a very important point. But I
5 think -- I think --

6 PANEL MEMBER BLANC: Also, to --

7 PANEL MEMBER GLANTZ: -- to take the time to --

8 PANEL MEMBER BLANC: Stan, let me, just say also
9 because I did look at what you handed out at the start of
10 the meeting, because I was very concerned about that table
11 that had been in the executive summary, which has now been
12 deleted. But if -- since you didn't pass out a modified
13 version of the rest of it, I was kind of assuming that
14 that table, nonetheless, which appeared twice in the
15 document, stayed at the end.

16 PANEL MEMBER GLANTZ: No, it's out of the end
17 too.

18 PANEL MEMBER BLANC: So it's just not there at
19 all. Well, where is it at?

20 PANEL MEMBER GLANTZ: It's been moved -- it's
21 been moved to an appendix.

22 PANEL MEMBER BLANC: Well, doesn't there have to
23 be a table that shows what you're -- what you're --

24 DR. DuTEAUX: Sure. So table 23, which is the
25 margins of exposure for developmental neurotoxicity, will

1 become that table. It will become -- we'll mention that
2 in the executive summary. I don't think --

3 PANEL MEMBER GLANTZ: Yeah, I mean, the table --
4 I would just use the table from your slide 32.

5 DR. DuTEAUX: And then -- right, that's the same.
6 That's the same table, just simple --

7 PANEL MEMBER GLANTZ: So that -- I think that
8 table should appear --

9 DR. DuTEAUX: Right.

10 PANEL MEMBER GLANTZ: I think that table should
11 appear in the executive summary and in the -- and in the
12 conclusion --

13 DR. DuTEAUX: Right.

14 PANEL MEMBER GLANTZ: -- which is just the first
15 three columns of the thing --

16 DR. DuTEAUX: Right.

17 PANEL MEMBER GLANTZ: -- they deleted, but --

18 DR. DuTEAUX: So if I may, I -- we actually -- I
19 actually have my fourth point on the next slide talks
20 about the handouts.

21 PANEL MEMBER GLANTZ: Okay.

22 DR. DuTEAUX: So I'm just going to go through
23 these other additions really quickly.

24 We also were requested to clearly state how the
25 inhalation RfC, using the developmental neurotoxicity

1 endpoint, meets the TAC criteria. However, consumption of
2 food and drinking water and we'll strike the word "drive"
3 and come up with some other language. Really, it's food
4 and water for developmental neurotoxicity.

5 PANEL MEMBER GLANTZ: Maybe, you could use
6 "paddle".

7 (Laughter.)

8 DR. DuTEAUX: Okay. Hammers. I don't know. We
9 could use any other kind of verb we find appropriate.

10 --o0o--

11 DR. DuTEAUX: And then for the discussion of the
12 developmental neurotoxicity in the endpoint, what we're
13 going to do is move any comparison of the point of
14 departure and reference concentrations or doses of
15 developmental neurotox versus acetylcholinesterase to the
16 front matter of appendix 3 and remove all -- all of -- so
17 that it avoids confusion. However, we have to have that
18 somewhere in appendix 3, because the number is different
19 from the December 2017 draft, and we have to make note of
20 that.

21 PANEL MEMBER BLANC: Right. No, good. Yeah, I
22 understand that.

23 DR. DuTEAUX: So we'll have that as front matter
24 for appendix 3.

25 PANEL MEMBER BLANC: Good.

1 DR. DuTEAUX: And probably have that table in
2 there as well, and maybe the -- as we had in the previous
3 executive summary, an introduction that comparison of this
4 method or this method, we'll move all of that to the front
5 matter of appendix 3.

6 PANEL MEMBER BLANC: Right. If you do that
7 though, I would take out the columns that don't have the
8 factor of 3.

9 DR. DuTEAUX: Okay.

10 PANEL MEMBER BLANC: That was also confusing.

11 DR. DuTEAUX: Okay. So, yeah, because the factor
12 of 100 was just in the December 2017 draft.

13 PANEL MEMBER BLANC: Right.

14 DPR ASSISTANT DIRECTOR VERDER-CARLOS: But I
15 think the reason why we put the one without the factor of
16 3 is because it's different from the other draft. It's 23
17 something.

18 DR. DuTEAUX: To tie the two documents together.

19 PANEL MEMBER BLANC: No, I know. I know. But I
20 think for the purpose of -- the way you're describing it,
21 I would just not have it in there. You can mention it in
22 the text, but it's --

23 DR. DuTEAUX: We can do it in the text. Okay.

24 PANEL MEMBER BLANC: It makes it sound like
25 you're -- you know, you haven't let go of it yet, so

1 that's fine.

2 DR. DuTEAUX: We'll just mention it in the text.
3 But as in some of our independent phone conversations, it
4 was just a matter of tying this document back to the other
5 document --

6 PANEL MEMBER BLANC: Right. Right.

7 DR. DuTEAUX: -- because they're in succession.
8 And then revising the executive summary and the conclusion
9 to focus on developmental neurotoxicity and to say that
10 this is a comprehensive analysis of all currently
11 available data to establish the POD directly on
12 developmental neurotoxicity and make that point clear.

13 And to that end, I'm going to pause these slides
14 for a second. And do you want to bring up -- do you want
15 to see the document? Okay. They have the document.

16 DPR ASSISTANT DIRECTOR VERDER-CARLOS: So you
17 have the hard copy. We published it also online this
18 morning, the excerpts from the revisions on the executive
19 summary and the conclusion. And so it's available to the
20 public this morning. And then we also have a hard copy.
21 I think you have it.

22 PANEL MEMBER GLANTZ: So could I suggest maybe,
23 because it is hard to read this and think about it in the
24 middle of the meeting.

25 DR. DuTEAUX: Sure.

1 PANEL MEMBER GLANTZ: Maybe -- it is noon. Maybe
2 we should take a break and give people time to read this
3 and think about it. And then we can come back to this. I
4 mean, I think this is the one last thing, right?

5 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Yes.

6 DR. DuTEAUX: That, and just the scientific --
7 what do we call that, the document sufficiency.

8 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Right.
9 The scientific sufficiency.

10 DR. DuTEAUX: The scientific sufficiency of the
11 document.

12 PANEL MEMBER GLANTZ: Yeah. But I just think --
13 I mean, I had -- as I said in the -- I had -- in the
14 conversations I had with these guys last week, I said it
15 would really help to get this to people before the
16 meeting, because it's just coming up. But they just did
17 the best they could, I think. And I think the amount of
18 work -- I just want to say for the record, the amount of
19 major work done in a very short time reflected in this
20 addendum is very impressive, and --

21 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Thank you.

22 PANEL MEMBER GLANTZ: -- it does -- and I think
23 that the Department has been very responsive to the Panel.
24 You know, so the fact that we may tinker a tiny bit more
25 with this language or that you -- it took you until today

1 to give it to us, I don't think is a problem, so...

2 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Thank you.

3 PANEL MEMBER GLANTZ: You know, I think we --
4 they've come up with what, in my view, is quite an
5 impressive document now. So -- but I do think we are
6 going to want to care -- really carefully look at the
7 wording here. And I think that's better done, if we're
8 not in the middle of a meeting.

9 Is that okay with you -- with everybody to...

10 CHAIRPERSON KLEINMAN: I think that would be
11 appropriate.

12 So why don't we adjourn for lunch and reconvene
13 at what 1:00 o'clock? That will give us time to read and
14 eat.

15 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Thank you.

16 PANEL MEMBER GLANTZ: Okay.

17 (Thereupon a lunch break was taken.)
18
19
20
21
22
23
24
25

1 A F T E R N O O N S E S S I O N

2 CHAIRPERSON KLEINMAN: Welcome back. I'd like to
3 reconvene this meeting of the SRP. And we were at the
4 point of looking at the additional changes that have been
5 drafted and are now excerpted from the June 2018 TAC
6 draft. So I believe the Panel has all had a -- has a hard
7 copy of this as well. So do you want to walk us through
8 this and we'll go from there?

9 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Okay. So
10 we'll -- as Dr. Glantz had said earlier, we had individual
11 conversations with some of the Panel members. And so we
12 wanted to incorporate some of the changes that were
13 suggested and would like the whole Panel's input on the --
14 on the proposed changes here to the executive summary and
15 the conclusion of the report.

16 So the -- I guess I can -- sorry.

17 So the first change would be the one on the
18 screen, and you probably already have a hard copy. The
19 last paragraph on the summary, which is this addendum
20 reflects the Scientific Panel's -- Scientific Review
21 Panel's recommendation that DPR thoroughly evaluate the
22 developmental neurotox effects as a critical endpoint for
23 the chlorpyrifos risk assessment.

24 So we wanted your -- I mean, maybe you can just
25 give us comments on how you read those revisions, and let

1 us know if those are acceptable or would you like any
2 other changes at this point?

3 PANEL MEMBER GLANTZ: So, obviously, that would
4 be re-worded slightly, now that this is becoming the main
5 document. But rather than a critical endpoint, I think it
6 should say the critical endpoint.

7 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Okay. So
8 Shelley is editing as we --

9 PANEL MEMBER BLANC: I think to the point --
10 (Thereupon a discussion occurred off the record.)

11 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Okay.
12 (Thereupon a discussion occurred off the record.)

13 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Right.
14 Right.

15 PANEL MEMBER GLANTZ: And as I said, the other
16 one is where you say "a", it should say "the", the
17 critical endpoint.

18 DR. DuTEAUX: Right, I put it in blue.

19 PANEL MEMBER GLANTZ: Oh. Okay. I need new
20 glasses.

21 (Laughter.)

22 DR. DuTEAUX: For those who are color blind, I'm
23 just adding onto the track changes your additional
24 comments, so we can go back and wordsmith it.

25 DPR ASSISTANT DIRECTOR VERDER-CARLOS: And then

1 we deleted the last -- the last sentence in that second --
2 in the middle of the page. And then again for updates in
3 this addendum in this revision is what we would say,
4 right? As the critical -- actually, put it in that.

5 So do you have any questions on that section
6 where it says updates to this revision or addendum at this
7 point?

8 PANEL MEMBER BLANC: So where it says along with
9 the --

10 (Thereupon a discussion occurred off the record.)

11 PANEL MEMBER BLANC: It's just not clear. You
12 mean all the body of --

13 (Thereupon a discussion occurred off the record.)

14 DR. DuTEAUX: Right. So from the toxicological
15 and risk assessment perspective, we couldn't use the
16 epidemiology studies, because we can't find a quantitative
17 dose assessment out of those studies. When we were using
18 acetylcholinesterase, it -- the epi studies, along with
19 the animal in vivo studies, upheld the -- there was weight
20 of evidence, and then the numeric justification for the
21 uncertainty factor.

22 For here though, it's not -- because we don't
23 really -- we can't use the epi studies to establish a
24 point of departure, we could say it adds weight of
25 evidence, but we didn't actually technically go through

1 the epi studies to establish a weight of evidence. So it
2 actually -- it might be better just to take that language
3 out.

4 PANEL MEMBER BLANC: If you deleted the word
5 "the" along with epidemiologic. It's just going --

6 (Thereupon a discussion occurred off the record.)

7 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Oh. Okay.

8 DR. DuTEAUX: Okay. Got it.

9 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Dr. Blanc,
10 do you have your microphone on just in case the --

11 PANEL MEMBER BLANC: Sorry. I just -- I would
12 delete the word "the", so it's just along with
13 epidemiologic studies.

14 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Okay.

15 PANEL MEMBER BLANC: It's a little vaguer, but
16 it's a little less confusing.

17 CHAIRPERSON KLEINMAN: Now, on the wordsmithing,
18 on the previous paragraph in -- where it says "some model
19 insufficiencies", I would take out the word "some", and
20 just say "model insufficiencies". I think --

21 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Okay.

22 DR. DuTEAUX: Okay.

23 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Okay. And
24 then the -- what page is this now, the third page?

25 DR. DuTEAUX: Three or four.

1 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Fourth
2 page, I think.

3 DR. DuTEAUX: Four.

4 DPR ASSISTANT DIRECTOR VERDER-CARLOS: And then
5 page four. So we -- we moved the developmental neurotox
6 endpoint to the first approach and added the -- added that
7 language up top, and then put the acetylcholinesterase
8 language secondary.

9 PANEL MEMBER BLANC: So one thing you'll note
10 that further down in that paragraph by increasing the
11 total uncertainty factor to 300 as it has --

12 DPR ASSISTANT DIRECTOR VERDER-CARLOS: In this
13 revision.

14 PANEL MEMBER BLANC: -- in this revision, and
15 related appendix, because remember you're going to move a
16 lot of it --

17 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Right.

18 PANEL MEMBER BLANC: -- to the appendix --

19 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Right.

20 Okay.

21 PANEL MEMBER BLANC: -- where you actually show
22 the number. So you want to be consistent.

23 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Okay.

24 Thank you.

25 PANEL MEMBER GLANTZ: And then -- and this is a

1 point I talked to the DPR about it before lunch, but in
2 the middle of that paragraph, where it say, "doses up to
3 10-fold lower", I would just say, "doses 10-fold lower".

4 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Okay.

5 PANEL MEMBER GLANTZ: And there's another place
6 where that comes up later, too.

7 DR. DuTEAUX: So my question is for the -- I
8 guess it's the paragraph, where is it, that says the
9 driver? Oh, the main risk driver, that would be the --
10 our preferred language.

11 PANEL MEMBER BLANC: Yeah.

12 DR. DuTEAUX: Do you have any suggestions, Dr.
13 Blanc?

14 PANEL MEMBER BLANC: I would probably -- I
15 couldn't write it off the top of my head, but I would
16 say -- I would use different language that couldn't be
17 misinterpreted as if there weren't the dietary, the
18 airborne wouldn't be a problem, because that's --

19 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Uh-huh.

20 PANEL MEMBER BLANC: -- that's what you want to
21 avoid.

22 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Okay.

23 PANEL MEMBER BLANC: -- and that potential
24 misinterpretation.

25 DPR ASSISTANT DIRECTOR VERDER-CARLOS: And it's

1 the same thing for the next -- the acetylcholinesterase,
2 we have that word there too.

3 DR. DuTEAUX: I'll just highlight it there.

4 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Yeah, just
5 highlight it, and you can think of a replacement.

6 And then the next page.

7 PANEL MEMBER GLANTZ: Yeah, and at the end of
8 this paragraph, there's another as much as 10, where I
9 would just say 10.

10 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Yeah.

11 PANEL MEMBER GLANTZ: And then the one other
12 thing and then you'll -- is if you go down a little
13 further, the table that you deleted, the next -- yeah, I
14 would put back the first three columns.

15 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Okay.

16 CHAIRPERSON KLEINMAN: So I think that would be
17 the new table 23.

18 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Right.

19 CHAIRPERSON KLEINMAN: Yeah.

20 PANEL MEMBER GLANTZ: Yeah, that would be also be
21 the new table 23 at the end.

22 CHAIRPERSON KLEINMAN: And that would show up in
23 both places.

24 PANEL MEMBER GLANTZ: Yeah.

25 (Thereupon a discussion occurred off the record.)

1 PANEL MEMBER BLANC: I think for me the big
2 problem still remaining in this proposed revision are the
3 last two paragraphs. The big problem for me are the last
4 two paragraphs of the revised text, which is just a
5 holdover from the previous, I believe. The very last --
6 go to the end where it says -- yeah. Yeah, maybe it
7 is -- no, I have text here that says, "Developmental
8 neurotoxicity can also be protected against by implying an
9 uncertainty factor of 10x". It would be after the table,
10 I think. What comes after this?

11 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Oh, the
12 one --

13 PANEL MEMBER BLANC: Yeah, it's in the conclusion
14 section.

15 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Oh. Okay.
16 So we're only in the -- in the executive --

17 PANEL MEMBER BLANC: I know. I'm just saying --

18 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Okay.
19 Okay. So for the executive summary, this paragraph is
20 okay, the developmental neurotox database, the added
21 language, which removed actually from -- except for Dr.
22 Glantz "as much as" deletion. And then adding the --
23 adding back the first three columns of that table.

24 (Thereupon a discussion occurred off the record.)

25 PANEL MEMBER GLANTZ: I'm sorry. You might want

1 to -- as the heading instead of animal DNT just say DNT,
2 because the numbers that you have in the third column are
3 the numbers you would use through people.

4 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Oh, okay.
5 You mean, the table itself is what you're referring to is
6 the -- or this one? Yeah. Okay.

7 So the end of that executive summary is that
8 table with the three columns and then revised the title of
9 the animal DNT to just DNT. And the footnote will be
10 different.

11 Yeah. So the footnotes will be similar to what
12 is on page 75 on table 23, because it's really the same as
13 table 23 at this point. So then the next one is the
14 conclusion, which I think Dr. Blanc was having questions
15 on.

16 Your microphone is not on.

17 PANEL MEMBER BLANC: The paragraph that --

18 DPR ASSISTANT DIRECTOR VERDER-CARLOS: The third
19 paragraph.

20 PANEL MEMBER BLANC: What's the next paragraph?

21 DPR ASSISTANT DIRECTOR VERDER-CARLOS: That one.

22 PANEL MEMBER BLANC: Yeah, this paragraph. So
23 if -- if the effect even with the application of the three
24 factor uncertainty, it's still a half an order of
25 magnitude difference. So I'm not sure if your intent here

1 is that you would still be listed as a toxic air
2 contaminant either way, is that what you're trying to say?
3 I don't think that's appropriate here, because it's not
4 just being listed as a toxic air contaminant. Later on,
5 the Air Resources Board will use field data to trigger
6 actions. And it will be a different action depending
7 on -- it would be different were a value that's five times
8 higher to be used.

9 So this wording makes it sound like it's
10 capricious to have used the neurodevelopmental value. I
11 know that's not your intent, but that's how it could
12 easily be interpreted, because the other way would be just
13 as protective. It wouldn't be just as protective. Both
14 might yield a toxic air contaminant designation, but
15 that's not the same as both values being equivalent to
16 each other. So I would actually delete this paragraph
17 or -- all together probably.

18 And I also think that the next sentence -- the
19 next paragraph which starts, "Regardless of which approach
20 is taken...", where we're not recommending two different
21 approaches. We're recommending one approach. So I think
22 that wording has to go too.

23 So I would delete this paragraph, delete the
24 first sentence. And one that would just say, "In
25 conclusion...", you know, whatever your concluding

1 sentence is.

2 That's -- that's what I would recommend. I think
3 it's quite problem ridden to suggest that both approaches
4 are interchangeable. I think, as was stated by Jesús, in
5 fact -- I think was Jesús quite reassuring -- no, it was
6 Cort -- it's quite reassuring to see that if you use and
7 alternative approach, you come out to something which is
8 similar. And I think we've done that a lot over the
9 years, in this -- in this panel, have pointed that out and
10 taken that to be good evidence. But that's not that
11 they're interchangeable.

12 PANEL MEMBER GLANTZ: Well, maybe the way to --
13 what to say would be to replace it with a paragraph saying
14 something like, "Even if one use uses the less sensitive
15 endpoint of red blood cell acetylcholinesterase, it still
16 meets the definition of a toxic air contaminant". I mean,
17 that's what you said a couple minutes ago.

18 So, I mean -- and my understanding is that's why
19 you think it's -- that point is why you think it's
20 important to say something here. So why not just say
21 that. And by saying it's even using the less sensitive
22 endpoint, then no one can, you know, claim that you're
23 endorsing that as the endpoint. But it makes -- it --
24 let's you say what you need to say to justify the TAC to
25 sort of double justify the TAC determination. Does that

1 seem okay? Would that work for you, Paul?

2 PANEL MEMBER BLANC: Sure.

3 PANEL MEMBER GLANTZ: Okay.

4 PANEL MEMBER BLANC: Don't misinterpret -- I
5 don't think you wrote it that way in order that someone
6 would use it -- misuse it, but I just want to protect
7 against that.

8 And the document itself, aside from the executive
9 summary, I don't think we have to dwell on it here, but in
10 the latter part -- in the summary part of the main text,
11 you should make sure that it mirrors what you do here,
12 because there's -- there were similar -- there was similar
13 language that was potentially problem ridden in that
14 final -- in the main document, wherever -- it returned to
15 this wording. You'll find it easily.

16 PANEL MEMBER GLANTZ: And then to that point, at
17 the very end, I would just add, either a clarifying phrase
18 or sentence, reiterating that -- you know, that where you
19 talk about develop to protect the general public, I would
20 just say, "...based on developmental neurotoxicity". Just
21 again, so there can be no -- I know that's what you did.
22 But again, we're just thinking about making it harder for
23 people to misrepresent what the report says.

24 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Okay. So
25 we will make those changes. And then for those -- and

1 then make sure that the body of the document is consistent
2 with these.

3 CHAIRPERSON KLEINMAN: Is there a better way that
4 we can deal with -- you've got the sentence both in the
5 text and the conclusion, the main risk driver for the DNT
6 approach is consumption of food and drinking water. It
7 sounds like the inhalation is unimportant, unless you put
8 something in that -- I think, that -- you know, something
9 to the effect that -- let me see. I scribbled something.
10 The CPF contribution from food and drinking water
11 exacerbates the DNT effects of exposure to airborne CPF.

12 Because even without the food and water for most
13 of the groups, you do meet the definition for a TAC --

14 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Right.

15 CHAIRPERSON KLEINMAN: -- even down to half a
16 mile.

17 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Right.

18 CHAIRPERSON KLEINMAN: So I just don't want to
19 leave the impression that it's not an inhalable or not an
20 inhaled issue, you know, in this respect.

21 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Yeah. I
22 think that was also Dr. Blanc's point. So that lang --
23 could you send us that language, Dr. Kleinman?

24 DR. DuTEAUX: I scribbled that down, yeah.

25 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Okay.

1 PANEL MEMBER BLANC: So, you know, often when
2 we're in this kind of penultimate wording, what we try to
3 do to avoid delays is assign a couple of people from the
4 Panel to review the final, final. And we have a
5 tentative -- we have a motion to tentatively approve the
6 document, presuming the changes that have been proposed
7 will be made. And I'd feel comfortable with that if Dr.
8 Kleinman would be willing to work with Dr. Glantz, since
9 he wordsmithed much of these changes, I think, to do that.

10 PANEL MEMBER GLANTZ: Yeah. So I'd like to make
11 a motion to that effect, to -- that the Panel tena -- you
12 know, tentatively finds the report as not scientifically
13 deficient, or whatever the legal language here.

14 CHAIRPERSON KLEINMAN: Not seriously deficient.

15 PANEL MEMBER GLANTZ: Not seriously deficient.
16 And then delegate to Dr. Kleinman, as the Chair, the
17 authority to review the final document.

18 PANEL MEMBER BLANC: I'd like -- no, it has to be
19 you and he.

20 PANEL MEMBER GLANTZ: You me and -- okay. Well,
21 I kind of feel uncomfortable making a motion about me, so
22 I'll --

23 PANEL MEMBER BLANC: Well, I'll make the motion.

24 (Laughter.)

25 PANEL MEMBER GLANTZ: Although, I hereby move I

1 deserve the Nobel Prize --

2 (Laughter.)

3 PANEL MEMBER GLANTZ: All of them.

4 (Laughter.)

5 PANEL MEMBER GLANTZ: Okay. I'll withdraw what I
6 was saying.

7 PANEL MEMBER BLANC: No, just modify it. You can
8 move that you be the other person.

9 PANEL MEMBER GLANTZ: No, I was just -- just --
10 what I was moving that it -- that Dr. Kleinman review it
11 in consultation with other members of the Panel.

12 PANEL MEMBER BLANC: No, I really want you to be
13 involved. Sorry.

14 PANEL MEMBER GLANTZ: Okay. Well, thank I think
15 you should make the motion, because -- I also move that I
16 should get a raise and --

17 (Laughter.)

18 PANEL MEMBER BLANC: I'd like to move that the
19 document be accepted as -- without scientific deficit
20 presumptive that the changes that have been discussed will
21 be made and pending joint review by Dr. Kleinman as Chair
22 and Dr. Glantz as de facto lead.

23 PANEL MEMBER ANASTASIO: Second

24 CHAIRPERSON KLEINMAN: Okay. I'd like to amend
25 that, or I'd like to ask for someone to amend it, to

1 include that the scientific basis, you know, to assign the
2 toxic air contaminant category to chlorpyrifos was
3 scientifically validated by the report, or, you know, that
4 it was sufficient to declare CPF as a TAC. I think
5 that's --

6 PANEL MEMBER BLANC: I mean that's implicit.

7 CHAIRPERSON KLEINMAN: That's implicit.

8 PANEL MEMBER BLANC: But if it makes you feel
9 better, fine. I accept your amendment.

10 (Laughter.)

11 CHAIRPERSON KLEINMAN: I would like the Committee
12 to, you know, be behind that.

13 PANEL MEMBER ANASTASIO: Yes. I second the
14 amended motion.

15 (Laughter.)

16 CHAIRPERSON KLEINMAN: Wordcraft it later.

17 PANEL MEMBER BLANC: You want to call the
18 question.

19 CHAIRPERSON KLEINMAN: Okay. All in favor?

20 (Hands raised.)

21 CHAIRPERSON KLEINMAN: Okay.

22 Any opposed?

23 (No hands raised.)

24 CHAIRPERSON KLEINMAN: Any abstentions?

25 (No hands raised.)

1 CHAIRPERSON KLEINMAN: Motion passes. We have
2 been successful. We have cleared the docket of something.
3 All right. So --

4 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Thank you.

5 CHAIRPERSON KLEINMAN: -- you will amend the
6 report. And what sort of time frame was -- I think 30
7 days?

8 DR. DuTEAUX: I think it's 30 days. So that puts
9 us going back and forth with you on the final draft and
10 making sure that we have it, so that if you approve it, I
11 guess, at the -- at your July meeting.

12 PANEL MEMBER BLANC: Well, we don't -- we
13 don't have to approve it actually.

14 DR. DuTEAUX: You don't have to approve it.
15 Okay.

16 PANEL MEMBER BLANC: We just have to --

17 DR. DuTEAUX: Accept it.

18 PANEL MEMBER GLANTZ: Yeah. It would only come
19 back to the Committee --

20 PANEL MEMBER BLANC: If there was a major --

21 PANEL MEMBER GLANTZ: -- In Dr. Kleinman or I
22 thought there was some horrible problem, which don't think
23 is.

24 DR. DuTEAUX: Okay. Then in statute it's 30
25 days.

1 CHAIRPERSON KLEINMAN: Okay.

2 DR. DuTEAUX: And I think 45 days for their
3 findings, is that correct?

4 DPR ASSISTANT DIRECTOR VERDER-CARLOS: I think.

5 PANEL MEMBER GLANTZ: Well, I would hope we could
6 have findings at the July 12th meeting, too, just to be
7 done with it.

8 DR. DuTEAUX: This was an auspicious date to have
9 this meeting too.

10 PANEL MEMBER GLANTZ: What?

11 DR. DuTEAUX: This date.

12 PANEL MEMBER GLANTZ: Why is that?

13 DR. DuTEAUX: June 12th, because there was some
14 other meeting in a different continent between two world
15 leaders that was very important today.

16 (Laughter.)

17 PANEL MEMBER GLANTZ: Yes. Hopefully, we're more
18 stable than they are.

19 (Laughter.)

20 PANEL MEMBER BLANC: I'm. So is July 12th
21 already fixed for our -- no. Okay.

22 PANEL MEMBER GLANTZ: But I think -- I think -- I
23 think that the findings are going to be pretty
24 straightforward.

25 CHAIRPERSON KLEINMAN: Yeah. If -- you know, the

1 key findings are that the report is not deficient.

2 PANEL MEMBER GLANTZ: Oh, I guess there is one
3 other -- now, that the thing -- I talked to them about
4 this. I think that same slimmed down table, the table 23,
5 with just the first three columns should also be in the
6 conclusions, but we had talked about that.

7 PANEL MEMBER BLANC: Just as you had before.

8 PANEL MEMBER GLANTZ: Yeah. Okay. Well, that
9 was easy.

10 PANEL MEMBER BLANC: So I guess my question for
11 DPR would be, as a model of how to handle a complicated
12 and potentially contentious air contaminant, if we were to
13 do this all over again with the next air contaminant
14 pesticide, what should the Scientific Review Panel as a
15 group do to make your life easier, or the process better,
16 or should we just plod along just as we have?

17 PANEL MEMBER GLANTZ: We could approve it without
18 change when they present the initial draft. That's easy.

19 (Laughter.)

20 DR. DuTEAUX: Is that a motion?

21 (Laughter.)

22 PANEL MEMBER GLANTZ: No.

23 DR. DuTEAUX: Second.

24 (Laughter.)

25 DPR ASSISTANT DIRECTOR VERDER-CARLOS: Well, I

1 think that we had a, you know, really good discussion in
2 the last three meetings. And the new data that we
3 received and were able to evaluate, actually I would just
4 publicly want to commend the team for -- the whole branch
5 was working on this document the last two months. And it
6 was a really big document. So I just wanted to give kudos
7 to the Human Health Assessment Branch for doing such a
8 great job. So thank you for acknowledging that as well.

9 But I think just a conversation, and having --
10 you know, talking to Dr. Kleinman, and being open to
11 having one-on-one conversations with the Panel as well
12 helped a lot in making the document robust.

13 PANEL MEMBER BLANC: I mean, it's an interesting
14 observation that I think the final document is -- the gap
15 between your vision and OEHHA's vision has narrowed
16 considerably in this final document. So I wonder if
17 there's something there about how the interactions with
18 OEHHA, you know, could make this kind of process, you
19 know, more synergistic?

20 I don't know. That would be between the two
21 groups. But it just, as an outside observer, seems like
22 what I was hearing at the beginning has sort of come much
23 closer together.

24 DPR ASSISTANT DIRECTOR VERDER-CARLOS: So -- and
25 we also received the studies -- you know, the studies from

1 OEHHA as well. So when we -- when we got the December
2 document to you, it didn't have much of the specifics on
3 the developmental neurotox animal data, which then we were
4 able to now analyze and do an assessment of. So, you
5 know, having a collaborative, I think, conversation also
6 with OEHHA, which we really welcome, is a good thing.

7 CHAIRPERSON KLEINMAN: Well, I'd like to commend,
8 you know, DPR staff and management, you know, for
9 accomplishing a tremendous amount of work, relatively
10 short period of time, and in a very complete and rigorous
11 way. And I think speaking for myself, I learned an awful
12 lot about the process and how it works. And I thank you
13 for that. I'm sure the Panel agrees.

14 Okay.

15 PANEL MEMBER BLANC: So I think I'd like -- were
16 there any administrative matters, which is the last item
17 of the agenda.

18 CHAIRPERSON KLEINMAN: Okay. The only
19 administrative matter is, as I've already mentioned, we
20 are going to be polling everybody to -- for a telephone
21 conference for July. So respond to Jim's poll.

22 And if there are no other questions or matters to
23 be brought up, I'd like to ask for a motion to adjourn.

24 PANEL MEMBER BUCKPITT: I'd like to make the
25 motion to adjourn.

1 (Laughter.)

2 CHAIRPERSON KLEINMAN: All in favor?

3 PANEL MEMBER BLANC: It hasn't been seconded.

4 CHAIRPERSON KLEINMAN: Second?

5 PANEL MEMBER GLANTZ: Second.

6 CHAIRPERSON KLEINMAN: He seconded it.

7 All right. All in favor?

8 (Hands raised.)

9 We are adjourned.

10 (Thereupon the California Air Resources Board,
11 Scientific Review Panel adjourned.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 C E R T I F I C A T E O F R E P O R T E R

2 I, JAMES F. PETERS, a Certified Shorthand
3 Reporter of the State of California, do hereby certify:

4 That I am a disinterested person herein; that the
5 foregoing California Air Resources Board, Scientific
6 Review Panel meeting was transcribed from a digital
7 recording provided by ARB, in shorthand by me, James F.
8 Peters, a Certified Shorthand Reporter of the State of
9 California;

10 That the said proceedings was taken before me, in
11 shorthand writing, and was thereafter transcribed, under
12 my direction, by computer-assisted transcription.

13 I further certify that I am not of counsel or
14 attorney for any of the parties to said meeting nor in any
15 way interested in the outcome of said meeting.

16 IN WITNESS WHEREOF, I have hereunto set my hand
17 this 28th day of December, 2018.

18
19
20 

21
22
23 JAMES F. PETERS, CSR
24 Certified Shorthand Reporter
25 License No. 10063